

1 BEFORE THE ARIZONA POWER PLANT

2 AND TRANSMISSION LINE SITING COMMITTEE

3 IN THE MATTER OF THE APPLICATION) Docket No.
4 OF SALT RIVER PROJECT) L-00000B-21-0393-00197
5 AGRICULTURAL IMPROVEMENT AND)
POWER DISTRICT, IN CONFORMANCE) LS CASE NO. 197
6 WITH THE REQUIREMENTS OF ARIZONA)
REVISED STATUTES, SECTIONS)
7 40-360, et seq., FOR A)
CERTIFICATE OF ENVIRONMENTAL)
COMPATIBILITY AUTHORIZING THE)
EXPANSION OF THE COOLIDGE)
8 GENERATING STATION, ALL WITHIN)
THE CITY OF COOLIDGE, PINAL)
9 COUNTY, ARIZONA.)

10

11 At: Casa Grande, Arizona

12 Date: February 15, 2022

13 Filed: February 22, 2022

14

15 REPORTER'S TRANSCRIPT OF PROCEEDINGS

16

VOLUME VII
(Pages 1102 through 1313)

17

18

19

20

21

22

23

24

COASH & COASH, INC.
Court Reporting, Video & Videoconferencing
1802 North 7th Street, Phoenix, AZ 85006
602-258-1440 staff@coashandcoash.com

By: Carolyn T. Sullivan, RPR
Arizona CR No. 50528

COASH & COASH, INC.
www.coashandcoash.com

602-258-1440
Phoenix, AZ

1 INDEX TO EXAMINATIONS

2	WITNESSES	PAGE
3	ROBERT GRAMLICH, via videoconference	
4	Direct Examination by Mr. Rich	1116
	Cross-Examination by Mr. Acken	1153
5	Cross-Examination by Ms. Ust	1166
	Redirect Examination by Mr. Rich	1182
6		

7 SANDY BAHR AND CARA BOTTORFF (via videoconference)

8	Direct Examination by Mr. Rich	1189
	Cross-Examination by Mr. Acken	1217
9	Cross-Examination by Mr. Stafford	1231
	Redirect Examination by Mr. Rich	1233
10		

11 ADRIENNE HOLLIS, via videoconference

12	Direct Examination by Ms. Post	1236
	Cross-Examination by Mr. Acken	1246
13		

14 WILLIAM MCCLELLAN, ANGIE BOND-SIMPSON,
ROBERT OLSEN - Rebuttal

15	Direct Examination by Mr. Acken	1253
16	Cross-Examination by Mr. Rich	1281
	Cross-Examination by Mr. Stafford	1295
17	Cross-Examination by Ms. Post	1299
	Redirect Examination by Mr. Acken	1303
18		

19

20

21 INDEX TO EXHIBITS

22	NO.	DESCRIPTION	IDENTIFIED	ADMITTED
23	SRP-6	Settlement proposal to Randolph Residents	1110	--
24	SRP-7	Updated proposal to Randolph Residents	1270	--
25		COASH & COASH, INC. www.coashandcoash.com	602-258-1440	Phoenix, AZ

1 INDEX TO EXHIBITS (Cont.)

2	NO.	DESCRIPTION	IDENTIFIED	ADMITTED
3	SRP-8	Projected Annual Carbon Emissions (Resource Portfolio)	1266	--
4	SRP-9	90-day profiling for Coolidge Expansion Project	1307	--
5	RR-4	Bullard, R., et al., Toxic Wastes and Race at Twenty 1987-2007, A Report Prepared for the United Church of Christ Justice & Witness Ministries. March 2007.	1240	--
6	RR-5	Cep, C. The fight to preserve African American History. The New Yorker. January 27, 2020. https://www.newyorker.com/magazine/2020/02/03/the-fight-to-preserve-african-american-history/amp	1244	--
7	RR-33	2025 General Plan Land Policy Coolidge	1112	--
8	RR-34	Resume of Adrienne Hollis	1237	--
9	SC-7	Renewables and storage are more economic than gas: Lazard's Levelized Cost of Energy Analysis Version 15.0, October 2021	1153	--
10	SC-8	Renewables and storage are more economic than gas: Lazard's Levelized Cost of Energy Analysis Version 7.0	1153	--
11	SC-9	Geographic diversity solves solar integration issues: Mills, Andrew and Wiser, Ryan Ernest Orlando Lawrence Berkeley National Laboratory LBNL-3884E, September 2010	1153	--
12				
13				
14				
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

1 INDEX TO EXHIBITS (Cont.)

2 NO.	DESCRIPTION	IDENTIFIED	ADMITTED
3 SC-10	Western Wind and Solar Integration Study: National Renewable Energy Laboratory; GE Energy, May 2010	1153	--
5 SC-11	EIM is meeting flexibility needs: California ISO; WEIM Benefits Report, 3rd Quarter 7 2021	1153	--
8 SC-12	Battery capacity value is high, and there are synergies between 9 solar and battery capability value: Paul Denholm, Jacob 10 Nunemaker, Pieter Gagnon, and 11 Wesley Cole, 2019. The Potential 12 for Battery Energy Storage to Provide Peaking Capacity in the United States. Golden, CO: 13 National Renewable Energy Laboratory. NREL/TP-6A20-74184.	1153	--
14 SC-13	Sources of Grid Reliability Services: Michael Milligan, 15 Milligan Grid Solutions, Inc.; The Electricity Journal 31 16 (2018) 1-7	1153	--
17 SC-14	Southwest Reserve Sharing Group has plenty of capacity for the 18 next decade: NERC Long Term Reliability Assessment, 19 December 2021	1153	--
20 SC-15	Gas correlated outage risks: FERC - NERC - Regional Entity 21 Staff Report; The February 2021 Cold Weather Outages in Texas 22 and the South Central United States, November 2021	1153	--
23			
24			
25			

1 INDEX TO EXHIBITS (Cont.)

2 NO.	DESCRIPTION	IDENTIFIED	ADMITTED
3 SC-16	Report on Outages and Curtailments During the Southwest Cold Weather Event of February 1-5, 2011; Staffs of the Federal Energy Regulatory Commission and the North American Electric Reliability Corporation, August 2011	1153	--
4 SC-17	Special Reliability Assessment: Potential Bulk Power System Impacts Due to Severe Disruptions on the Natural Gas System; NERC Single Point of Disruption to Natural Gas Infrastructure, November 2017	1153	--
5 SC-18	Reliability Guidelines Fuel Assurance and Fuel Related Reliability Risk Analysis for the Bulk Power System; NERC March 2020	1153	--
6 SC-20	Map of West Pinal County PM10 Nonattainment Area: https://pinal.naps.arcgis.com/apps/webappviewer/index.html?id=7ad96b8e17294c2386284fd7ba46c363	1198	--
7 SC-22	The False Promise of Natural Gas, Philip J. Landrigan, M.D., et al., New England Journal of Medicine 2020; 382:104-107	1195	--
8 SC-23	IPPC, 2021: AR6 Climate Change 2021: The Physical Science Basis: Summary for Policymakers	1194	--
9 SC-24	Fourth National Climate Assessment, Chapter 25, Executive Summary	1194	--
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 INDEX TO EXHIBITS (Cont.)

2	NO.	DESCRIPTION	IDENTIFIED	ADMITTED
3	SC-25	New Climate Maps Show a Transformed United States: Al Shaw, Abram Lustgarten, ProPublica, and Jeremy W. Goldsmith, Special to ProPublica, September 15, 2020	1194	--
4	SC-26	The Myth of Safe Yield: Pursuing the Goal of Safe-Yield Isn't Saving Our Groundwater, Morrison Institute for Public Policy, May 2021	1202	--
5	SC-28	Health Impact of Coolidge Expansion - COBRA Results and Net Present Value (2017\$)	1211	--
6	SC-29	Publications that Cite EPA's CO-Benefits Risk Assessment (COBRA) Health Impacts Screening and Mapping Tool	1227	--
7	SC-31	Cara Bottorff Resume	1205	--
8	SC-34	5-5-2021 SRP Coolidge Replacement Results	1121	--
9	SC-35	Robert Gramlich Resume	1153	--
10				
11				
12				
13				
14				
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

1 BE IT REMEMBERED that the above-entitled and
2 numbered matter came on regularly to be heard before the
3 Arizona Power Plant and Transmission Line Siting
4 Committee at Radisson Hotel Casa Grande, 777 North Pinal
5 Avenue, Casa Grande, Arizona, commencing at 9:01 a.m. on
6 the 15th day of February, 2022.

7

8 BEFORE: PAUL A. KATZ, Chairman

9 ZACHARY BRANUM, Arizona Corporation Commission
10 (via videoconference)
11 LEONARD DRAGO, Department of Environmental Quality
12 JOHN RIGGINS, Arizona Department of Water Resources
13 JAMES PALMER, Agriculture Interests
14 MARY HAMWAY, Incorporated Cities and Towns
15 RICK GRINNELL, Counties
16 (via videoconference)
17 KARL GENTLES, General Public
18 (via videoconference)
19 MARGARET "TOBY" LITTLE, PE, General Public
20 (via videoconference)

15

16

APPEARANCES:

17

For the Applicant:

18

JENNINGS, STROUSS & SALMON, P.L.C.
Mr. Albert Acken
One East Washington Street
Suite 1900
Phoenix, Arizona 85004

21

and

22

SALT RIVER PROJECT
Ms. Karilee Ramaley
Senior Principal Attorney
P.O. Box 52025
Legal Services PAB381
Phoenix, Arizona 85072-2025

25

1 APPEARANCES: (Cont.)

2 For the Sierra Club:

3 ROSE LAW GROUP PC
4 Mr. Court Rich
5 7144 East Stetson Drive
6 Suite 300
7 Scottsdale, Arizona 85251

8 For Western Resource Advocates:
9

10 WESTERN RESOURCE ADVOCATES
11 Mr. Adam Stafford
12 1429 North 1st Street
13 Suite 100
14 Phoenix, Arizona 85004

15 For the Randolph Residents:

16 Ms. Dianne Post
17 1826 East Willetta Street
18 Phoenix, Arizona 85006

19 For the Arizona Corporation Commission Staff:
20

21 Ms. Kathryn Ust
22 Staff Attorney
23 Legal Division
24 1200 West Washington Street
25 Phoenix, Arizona 85007

1 CHMN. KATZ: We'll go back on the record. And I
2 understand that there may be one or two small preliminary
3 matters that we may need to discuss, and then I'd like to
4 get started with whoever is our first witness today.

5 MR. ACKEN: Thank you, Mr. Chairman. I'll go
6 first. I'm not sure if anyone else has a procedural
7 item.

8 But there was questions yesterday afternoon
9 regarding a settlement proposal that SRP had made to the
10 Randolph intervenors, the settlement proposal that was
11 rejected. Then Ms. Rickard testified to it on both the
12 scope of that offer as it related to the community
13 working group.

14 And so what we wanted to do is -- I had marked
15 it. We have marked it as an exhibit, is SRP
16 Exhibit No. 6. And offer if any party wants to ask
17 questions about that settlement offer made that we would
18 recall Ms. Rickard to answer any questions.

19 CHMN. KATZ: And just so everyone knows, after
20 Ms. Rickard's testimony, I asked if she could summarize
21 the things that she had testified to. And I then sent
22 the typed document to Tod and asked him to distribute it
23 amongst the Committee. And I should have said amongst
24 everyone because you all have in advance the proposed CEC
25 that was proposed by Mr. Acken.

1 I have edited it in very minor ways, and we'll
2 end up projecting my edited version of that on one screen
3 in PDF so it can't be changed. And on the right side,
4 we'll have another screen. It will be in Word. And we
5 will hear from everybody, and the usual procedure would
6 be to review the CEC. Whether or not it's going to be
7 granted, we want to have the conditions that would be
8 required. And the vote on whether or not to issue that
9 would be a roll call vote. But I don't want to -- we're
10 not there yet.

11 But any further comments on this particular
12 issue? I don't think it's that big of a deal. It's some
13 additional conditions that we can add in our other
14 conditions that could be added in the event that the CEC
15 were to be granted.

16 Ms. Post, you've indicated to me that you have
17 an issue that you also wanted to make a record?

18 MS. POST: Yes. I just received this morning a
19 copy of the 2025 general land use plan -- land use policy
20 from Coolidge. And in it, it zones Randolph as
21 industrial. And I doubt that the Randolph residents had
22 any say-so in this. It also lists a freeway that is
23 planned, a north-south freeway. If you recall Ron Jordan
24 testifying that he thought that when this started, that
25 that would entail eventually a freeway going through

1 their property. And it's not going right through
2 Randolph, but it is close. So I would like to -- this is
3 Exhibit No. 33 for Randolph residents.

4 CHMN. KATZ: That's fine. And it was my
5 understanding that sometime around -- I don't know
6 dates -- that that area became industrial, basically
7 ignoring the existence of the community.

8 MS. POST: Well it wasn't -- around Randolph.
9 But now they've actually zoned Randolph.

10 CHMN. KATZ: That's right. I don't know the
11 exact history of the zoning, but you're more than welcome
12 to add that exhibit.

13 MS. POST: Thank you.

14 MEMBER LITTLE: Mr. Chairman.

15 CHMN. KATZ: Yes, Ms. Little.

16 MEMBER LITTLE: I also have one item.

17 Yesterday I brought up the issue of the system
18 study, the electrical system studies. And Mr. Emedi
19 indicated that SRP had provided some additional
20 information about those.

21 And I've been unable to find that. I've looked
22 in the docket. I've also looked in the BTA docket. And
23 I'm wondering if he could perhaps elaborate a little on
24 how I might find that additional information.

25 All I can find is a letter from Staff that

1 says -- makes a recommendation that these hearings be
2 postponed until the system studies could be completed.

3 CHMN. KATZ: Ms. Ust?

4 MS. UST: Yes. I believe yesterday, Member
5 Little's comment was referring to the Power Flow and
6 Stability Study. Is that correct, Member Little?

7 MEMBER LITTLE: Yes, it is, thank you.

8 MS. UST: Okay. And Stephen's comments
9 yesterday were only referring to the System Impact Study,
10 which is not complete, but it is Staff's understanding
11 that SRP has completed the Power Flow and Stability
12 Study.

13 MR. ACKEN: And if I could just supplement that,
14 in our ten-year filing, we noted -- excuse me, not the
15 ten-year filing -- the 90-day filing for this project, we
16 noted technical study reports, internal planning
17 criteria, and system ratings are deemed confidential
18 critical energy electrical infrastructure information,
19 CEII, and said that that would be made available to Staff
20 under separate cover and pursuant to confidential
21 agreement if requested. So that information was
22 referenced in the 90-day filing, but that information is
23 not included in the 90-day filing because it includes
24 that CEII information. And so that offer was made to
25 Staff.

1 And just to follow up on what Ms. Ust said,
2 we're talking about two different things. What is it --
3 again, the System Impact Study versus the transmission
4 studies that is part of that 40-360.02 that you
5 referenced yesterday.

6 MEMBER LITTLE: What exactly -- I'm unclear.
7 What is the System Impact Study?

8 MR. ACKEN: You know, we will have a witness
9 available on rebuttal to answer questions about that,
10 probably Mr. McClellen, who can do a better job than I
11 can.

12 System Impact Study, I will just say now is a
13 FERC requirement. It is a requirement for
14 interconnection for any interconnection, but it is not a
15 prerequisite for either a CEC filing for either a
16 transmission line or generation project. So I think
17 that's where that confusion lies.

18 MEMBER LITTLE: Thank you very much.

19 CHMN. KATZ: In just a minute, we're going to go
20 off the record for a second. I'm getting absent-minded.
21 I want to go get a glass of water in case I get a dry
22 mouth. So I'll be back in about 30 seconds, and we'll
23 call our first witness.

24 Kindly, Leonard Drago is getting me my glass of
25 water. So that's my birthday present for the day. So

1 thank you all.

2 Who's going to be our first witness this
3 morning?

4 MR. RICH: Good morning, Mr. Chairman, Members
5 of the Committee. Sierra Club is calling Rob Gramlich,
6 and he is joining us via Zoom.

7 Great. There he is. Let's test your volume
8 really quick. If you could say something, Rob.

9 MR. GRAMLICH: Morning. Can you hear me?

10 MR. RICH: Yes, we can. I think the Chairman
11 will swear you in first, and then we'll proceed.

12 CHMN. KATZ: And do you prefer an oath or
13 affirmation? We can do either.

14 MR. GRAMLICH: I'm sorry. Are you asking me?
15 I'm fine with either.

16 (Robert Gramlich was duly sworn by the
17 Chairman.)

18 CHMN. KATZ: Thank you very much. You are
19 sworn, and we may begin questioning.

20

21

22

23

24

25

1 ROBERT GRAMLICH,
2 called as a witness on behalf of Sierra Club, having been
3 previously sworn by the Chairman to speak the truth and
4 nothing but the truth, was examined and testified as
5 follows:

6

7 DIRECT EXAMINATION

8 BY MR. RICH:

9 Q. Good morning. Would you state your name for the
10 record, please.

11 A. Sure.

12 Rob Gramlich.

13 Q. And, Rob, where do you work -- by whom are you
14 employed and can you give us your work address?

15 A. The consulting firm that I own and run as
16 president is called Grid Strategies, LLC.

17 Q. And can you tell us a little bit about your
18 background, please.

19 A. Sure.

20 I've been in the power sector for 30 years. I
21 spent eight years at the Federal Energy Regulatory
22 Commission, a couple years as the PJM grid operator for
23 the mid-Atlantic region as senior economist. And now,
24 for the last five years, I've worked at my own consulting
25 firm on power systems and transmission and power markets

1 related to clean energy integration into the grid.

2 Q. Great.

3 And we've got in front of us on the big screen
4 in the room is a presentation that we've shared with SRP
5 before this and that we've premarked as Exhibit SC-34.

6 I'll note on the cover of this, it says Michael Goggin.

7 Do you want to just clarify for the record the situation
8 there and why you're here in that situation.

9 A. Sure.

10 And I want to thank the board for allowing me to
11 replace Michael. Michael is my vice president at Grid
12 Strategies and partner. His wife went into the hospital
13 Thursday night and has been there since. And they have a
14 three-month-old baby, and it's a complicated situation.
15 He's out for two or three weeks, so I'm filling in today.

16 Q. Thank you for your flexibility and for being
17 able to be here.

18 I'm going to ask you to sort of summarize your
19 testimony and begin taking us through these slides that
20 you have worked on with Michael.

21 If we can go to Slide No. 2, and please, Rob,
22 give us a summary.

23 A. Sure.

24 So as an overview, if SRP had fairly evaluated
25 the alternatives, it would have found battery storage to

1 be more cost effective and reliable than the Coolidge
2 Expansion Project, which I'll call CEP.

3 SRP's economic analysis overstated the need for
4 clean resources by a factor of 3 or 4. So, of course, if
5 you have an inflated estimate of the quantity needed,
6 then the cost will be very high. So the economic
7 analysis was distorted by overstating the capacity needed
8 for the renewables and storage.

9 A battery would have been more economic than
10 CEP. Batteries also provide a range of services better
11 than CEP. And what happens is as solar comes on and
12 expands in the territory, then the length of time that
13 you need to run the batteries shortens and it moves from
14 the afternoon into the evening period, which basically
15 allows those batteries to be very effective and to keep
16 contributing their capacity, essentially the reliability
17 and the ability to make sure a load is served in all
18 hours. It keeps that ability of batteries very high for
19 a number of years into the future.

20 So -- and a battery, of course, installed today
21 keeps that capacity value for the decades that it's in
22 service. So that is, we think, a more economic option,
23 and we don't think SRP has demonstrated a need for new
24 capacity or other reliability services based on data from
25 NAERC. That's the continental reliability authority.

1 And based on information about imports in the region,
2 resource adequacy is really a regional concept, and there
3 are resources around the region and the relatively new
4 Energy Imbalance Market across the West, which enables
5 load to be met, and SRP is one of many utilities that
6 take advantage of that opportunity.

7 So that is the summary of my testimony today.

8 Q. Great. Thank you.

9 So let's move forward, and I'll ask that we move
10 to Slide No. 3. And if you could explain to us your
11 perspective if SRP has adequately evaluated the
12 alternative to the CEP expansion.

13 A. I don't think SRP meaningfully assessed the
14 alternatives. And had it done so, it would have chosen
15 batteries instead of CEP. And we can go to the next
16 slide on that.

17 So this shows the 3 to 4 times that I was
18 talking about those carbon-free capacity needed to
19 provide similar reliability. That big long bar, the blue
20 bar on the top, shows a very large amount of battery
21 capacity provided by SRP in order to provide the same
22 capacity that CEP provides, and that's the number that we
23 think is inflated. And, of course, if you have to buy
24 that much capacity, you have to pay a lot of money, and
25 that option looks less attractive.

1 I guess we can go to the next slide.

2 Q. And let me just stop you for one moment and just
3 clarify just for the record, you'll see on this slide
4 when it was prepared, we had noted it says
5 "confidential," and it's highlighted. This slide and a
6 couple other slides in this deck have that notation.

7 We've spoken with SRP, and they have agreed to
8 waive confidentiality of these particular figures on
9 these slides. And so I just wanted to clarify that for
10 the record that while they say "confidential," they are
11 no longer subject to confidentiality. I just wanted to
12 make that clear. So go ahead.

13 A. I appreciate that.

14 So a consultant named E3 did this analysis. My
15 understanding is it was -- that firm was retained by SRT
16 to study this exact question that we're talking about,
17 which is how much solar and storage do you need to
18 provide the equivalent reliability of CEP.

19 And E3, which is a very respected firm and
20 certainly one that I'm very well familiar with -- I've,
21 in fact, invited them to speak at a forum that I created
22 called the Future Power Markets Forum, and they do good
23 work on estimating this concept which is called capacity
24 value.

25 And what they found is instead of that large

1 list of 2,000 megawatts required, E3 found that adding
2 only 731 megawatts of battery capacity in 2026 provides
3 the same capacity value as the 820-megawatt CEP. So, in
4 fact, batteries have a higher capacity value than the
5 natural gas plant expansion. And so from my perspective,
6 the E3 number is very credible based on modeling, not
7 just their work around the country, but specific to
8 Arizona, because Arizona is relatively unique, and it's
9 obviously a tremendous solar resource. And as we'll talk
10 about a little bit more, solar and batteries have a great
11 deal of synergy together. So the more of one increases
12 the value of the other.

13 We can go on to the next slide, Court, if that
14 makes sense.

15 MR. RICH: Slide 6, please.

16 Q. BY MR. RICH: Just for the record, to catch up
17 on where we're at, we're looking at 5 -- we will be
18 looking at Slide 6 of Sierra Club's Exhibit 34.

19 A. Right. So the upshot of that is SRP's
20 alternatives analysis ignored a real alternative
21 available to the utility. It built 4 times more
22 alternative resources than needed by understating the
23 capacity value of storage.

24 SRP also assumed the replacement portfolio
25 included a high-cost renewable fuel CT so, essentially,

1 the alternatives to CEP wound up with a mistakenly high
2 cost, and that tended to make the CEP option look better.

3 Q. So, Rob, let me ask, I guess, how does that
4 work? So you're saying that -- I guess the question is,
5 did SRP accurately value the alternative for solar and
6 storage?

7 A. Right. So they did not accurately value because
8 they overstated the amount of storage you would have to
9 buy to provide the equivalent capacity.

10 And then, actually, the other half of that
11 answer would be on Slide 7, the next side, which is about
12 the costs.

13 And so the storage, you can see on the bottom
14 right, is 1242 million over 20 years, and the CEP is
15 1774, quite a bit higher. So you're paying more for CEP
16 than the storage. And as we just discussed on the
17 previous couple slides, the batteries are providing more
18 value.

19 So the CEP option relative to the battery option
20 we think is not as attractive, again, based on the E3
21 analysis that SRP purchased from that consultant.

22 Q. Can you --

23 A. The assumptions are noted here, and they're in
24 exhibits for reference.

25 Q. Can you talk, Rob, about the synergies between
COASH & COASH, INC.
www.coashandcoash.com

602-258-1440
Phoenix, AZ

1 solar and storage.

2 A. Sure.

3 So, essentially, when you have -- and there's a
4 nice picture later on, but when you have a lot of solar
5 on the system, you can keep getting a lot of output
6 through the late afternoon period. So you really don't
7 need the batteries until after dinner, until 7 to 11 p.m.
8 So you can save it for that, and that becomes a shorter
9 time frame than without solar on the system. So a
10 typical four-hour-duration battery can very well provide
11 that.

12 Now, I say four-hour-duration battery. That
13 sometimes is misinterpreted, so let me clarify that.
14 These lithium-ion batteries that are used on the grid by
15 SRP and many other utilities now, they're being deployed
16 all over the country at an incredible pace. They're
17 called four-hour batteries, but that doesn't mean you
18 have to dispatch -- discharge them at the full speed,
19 which is what would take four hours. You can just start
20 discharging more slowly over a six- or eight-hour period,
21 and it's just a choice how to operate them. But for
22 shorthand, to simplify, we call them four-hour-duration
23 batteries.

24 But the synergy, to answer your question, is
25 that solar, in particular, and this type of lithium-ion

1 battery are very complementary. So the more you have
2 one, the more you're able to integrate. Of course, it
3 works in the other direction too. If you have a whole
4 lot of batteries on a system, then you can run more with
5 solar because without the batteries, you might just have
6 way more energy than you need at 2 in the afternoon.

7 And so at a certain point, adding more solar
8 doesn't help you very much because you already have more
9 than you can use when it's operating and less than you
10 need at night. But with the batteries, you can integrate
11 a lot more solar and be part of a reliable system. So
12 that's the synergy.

13 Q. Let's go to Slide 8, I guess. Is there anything
14 else on that that you want to speak to with regard to
15 synergies?

16 A. Yeah, so this is -- it shows the idea that in
17 different months, you have to actually curtail, meaning
18 you have certain periods where you've got more than you
19 need. And, of course, that's wasteful. But the great
20 thing about storage is instead of essentially spilling
21 solar energy, you can store it. You can put it in a
22 tank, effectively, and use it later. So at different
23 times of the year, it becomes -- you know, that happens
24 at a different amount. But the point is that storage and
25 solar are very complementary.

1 Q. And the CEP doesn't do anything to help with the
2 midday solar output issue, correct?

3 A. Correct. And that's important because, a --
4 let's pick a number. A 100-megawatt battery is actually
5 providing 200 megawatts of ramping, of moving power from
6 one time to another. You can be fully charging the
7 battery at, say, 3 p.m., and then at 6 p.m., you can be
8 fully discharging. So the net difference from negative
9 100 to positive 100 is 200. So that battery is
10 essentially providing that full 200-megawatt range,
11 whereas, any fossil plant or any conventional generator
12 like natural gas-fired power plant is only going from
13 zero to 100.

14 Q. Let's move to Slide 9, and I'd like you to talk
15 about some of the additional benefits of batteries and
16 explain this chart that's on there.

17 A. Sure.

18 Well, first of all, natural gas plants and
19 batteries both provide a lot of reliability value
20 relative to other resources that may be nondispatchable
21 and slow-moving. So, for example, coal plants are hard
22 to just turn on and off and ramp up and down. Nuclear
23 plants are hard to move. Basically, they're on the run,
24 but they're not flexible like natural gas and batteries.

25 So the main thing is these sort of columns in

1 the middle where you see storage hydro and natural gas,
2 hydro is also very flexible and dispatchable. Those
3 three are much more solid circles, meaning they're
4 providing a lot of these reliability services relative to
5 the other bars.

6 For example, nuclear, while it's available when
7 it's on, it's not providing these flexibility services.
8 And so just to describe without going into details of all
9 of the rows, these are reliability services in terms of
10 how much power might be needed from a subsecond time
11 frame, nearly instantaneous, to seconds, minutes, hours,
12 days. These are different services, and power quality
13 features like reactive power both are supporting the
14 voltage of the system. These are all essentially
15 services that the grid operator needs to keep a whole
16 system reliable.

17 And grid operators, if given the choice, would
18 love to have any of these sort of three technologies,
19 gas, hydro, batteries, because they just can do so much
20 for you given whatever might happen on the grid. But
21 that said, the batteries are extremely fast and flexible.
22 They are literally at a moment's notice, and they can
23 instantaneously, you know, sort of go from zero to 60
24 very fast. They can ramp up and down and go any
25 direction. So they're extremely flexible and valuable to

1 a system operator.

2 Q. Let's go on to Slide 10 and have you explain
3 what we see there.

4 A. Yeah. So kind of zooming the lens out to the
5 country to put this situation in context, what we see all
6 over the country is utilities and independent developers
7 building a tremendous amount of wind, solar, and storage.
8 That's really dominating the new generation. It doesn't
9 mean conventional or existing generation is all being
10 closed at the same rate. In fact, there's a lot of
11 natural gas plants that expect to have good, long lives
12 to balance power systems. But there's not a lot of new
13 gas generation, there's almost no new nuclear generation,
14 and there's no new coal generation.

15 So the conventional generation of the past of
16 nuclear, gas, coal, and large hydro, those are not really
17 being expanded. Nobody is building those. It's just
18 not -- they're just not cost effective or they bring
19 risks to the utility based on future fuel prices or
20 carbon regulation or health requirements.

21 So what you see on the graph here is in the
22 Western region, on the left side -- this is from Lawrence
23 Berkeley National Lab, where I used to work, actually.
24 And they have wind is the blue. You can see a lot of
25 wind being developed. Solar is the yellow. Standalone

1 storage is the green.

2 So that makes up -- you can eyeball it, but it
3 looks like 95 percent or so of the new generation
4 connecting to the queues, the discussion before about
5 System Impact Study, that's what's done. You file to
6 interconnect your generator, do a System Impact Study.
7 So this is in public record of who is trying to connect
8 to the queue and what type of generation it is. And,
9 again, almost all the new generation is renewables and
10 storage. Barely any is gas, and none of it is nuclear or
11 coal.

12 Q. Let me ask you, Rob, there's a bullet point on
13 here, the second bullet, says: SRP's 2020 solar RFP did
14 not allow hybrids with storage.

15 We heard testimony from SRP that it did not do
16 an RFP for this before announcing it and moving forward.
17 Can you comment on that.

18 A. Sure.

19 Well, clearly it's best practice in the industry
20 to have an RFP for whatever is needed. To say here on
21 the reliability services or capacity or energy that I
22 need now, anybody come in and, you know, bid your price
23 to provide those services.

24 But one great advantage of that is that you get
25 the latest market information about these options because

1 the cost has been coming down dramatically for solar,
2 storage, and wind, for example. So you want to do that
3 and have an up-to-date RFP and bidding process. But
4 another advantage is you get the benefit of all of the
5 options that you might not have gotten if you had just
6 said, you know what, I've decided I want to have a gas
7 plant or I want to have a solar plant or whatever type of
8 preference.

9 And a really popular option these days is a
10 hybrid storage and solar project. There are some
11 benefits listed here in the third bullet about how the
12 tax credits work. Also the interconnection, you can just
13 interconnect once rather than having to do it separately
14 for the solar and the storage project, and that's a great
15 efficiency and there's economies of scale in shared
16 equipment.

17 And so, to sort of highlight that, the bottom
18 right chart in the green shows the amount of paired solar
19 and storage there. And then on the left is solar, and
20 the hatched portion, I guess, of the blue and green, the
21 blue and green are different years, but the hatched
22 portion shows the significant growth in hybrids and the
23 growth in popularity of hybrid projects, which, it's my
24 understanding, that was not considered as an option here
25 as an alternative to the CEP.

1 Q. Let's turn to Slide 11, and I'd like you to talk
2 to us a little more about capacity value.

3 A. Sure.

4 So this is a key concept here. For a typical
5 100-megawatt plant that may be entering -- no type of
6 generation, whether it's nuclear, coal, hydro, gas, wind,
7 solar, storage, no type of plant has a full capacity
8 value of that full 100 megawatts because, at the time it
9 counts, and this is an analysis that utilities and their
10 consultants do, when it counts, when the system might be
11 short, no plant is 100 percent available. They have
12 forced outages, they're mechanical machines, they break.
13 Or if, you know, the wind isn't blowing, the capacity
14 value of wind, for example, is probably under 20 percent
15 in Arizona, not 100 percent.

16 Now, gas and storage are more in the 80 to 90ish
17 percent range in terms of their capacity value relative
18 to the nameplate. But as I mentioned before, it turns
19 out that at this point in time, adding storage provides
20 more capacity value than CEP. So the equivalent in 2026
21 of the CEP on the left chart there is 731 from batteries.

22 So this hangs on -- now, there's a couple
23 dynamics to talk about with capacity value. And we've
24 been working with this effective load carrying capability
25 concept for quite a while. I see SRP started using it

1 in -- well, I'm not sure if that information came from
2 confidential information or not, so I'll just say they're
3 using it now.

4 And one dynamic of ELCC is that as you add more
5 of a resource, the capacity value tends to decline. So
6 it's like your first pair of shoes is really valuable to
7 you, but your ninth pair of shoes is less valuable. And
8 so there's that saturation effect over time. And people
9 understand that I think generally across the industry.

10 What's I think only recently being appreciated
11 across the industry, you know, even though people like
12 the National Renewable Energy Lab has been writing about
13 this for 10 or 20 years, is that there are interactions
14 between the resources. So that saturation effect is
15 actually not very significant in places where there's a
16 lot of sun when you're talking about the capacity value
17 of batteries because of this synergy that we discussed
18 before about the times of day that you would need it.

19 So when you add a lot of solar, you don't need
20 to operate the batteries so much in the late afternoon.
21 You can shift it to the evening for a shorter period of
22 time. So a four-hour battery does just fine, and that's
23 reflected in the E3 analysis showing this high capacity
24 value of the storage.

25 Q. Great.

1 Let's switch to Slide No. 12. And if you can
2 talk a little bit about how storage relieves the need for
3 the CEP.

4 Are you still there?

5 A. Yep. Can you still hear me?

6 Q. We lost your picture, so let's hold on one
7 moment. We can hear you, though, but let's wait until
8 your picture is back up.

9 AUDIOVISUAL TECHNICIAN: You have to give me a
10 minute. Zoom lost the picture.

11 CHMN. KATZ: We can hold off just a minute or
12 two.

13 MR. RICH: We're having a technical difficulty,
14 Rob. But if you'll bear with us, they're trying to get
15 Zoom to give us the picture back.

16 THE WITNESS: Okay.

17 MR. RICH: All right. We see you again.

18 Mr. Chairman, shall we continue?

19 CHMN. KATZ: Anytime you're ready, we'll go
20 ahead.

21 MR. RICH: Thank you.

22 Q. BY MR. RICH: Okay. After a brief delay there,
23 your video has been restored in the hearing room.

24 Rob, can you just, I guess, continue the
25 discussion on capacity value and how it relates to

1 batteries and solar being able to replace the need for
2 the CEP and take us through the next couple slides with
3 that discussion.

4 A. Sure.

5 So on Slide 12, storage obviates the need for
6 the CEP. This, again, is based on E3's modeling that
7 shows that storage offers more capacity value than CEP
8 throughout the 2020s. And from the earlier slide, the
9 storage being slightly less costly. So being slightly
10 less costly and providing more capacity value, the
11 storage option we think is superior. And you get some
12 additional reliability services to boot.

13 As we've discussed a little bit, increasing
14 solar penetrations will ensure the capacity value of
15 storage remains high throughout the 2030s. The
16 saturation effect that I mentioned does not appear to be
17 on the horizon. In a place like Arizona, you would have
18 to get to extremely high penetrations of storage before
19 that is an issue. And this concept of, you know, the
20 first pair of shoes being more valuable than your ninth
21 pair, the question really is about the first or second
22 pair of shoes and that those are going to be valuable for
23 a good long time. If the result is different in 10 or 15
24 years, one can certainly do an assessment at that point
25 and compare gas to battery storage. Or at that point,

1 who knows, there's a lot of work being done and research
2 on longer-duration storage types. So there might be
3 additional options.

4 Moreover, there are always the Westwide markets
5 on which to rely. And so there are other options. And,
6 therefore, it seems unwise to make an irreversible
7 investment of \$830 million -- it should say million on
8 the slides -- in a gas plant that may end up being a
9 stranded asset.

10 Q. Let's go on to Slide 13. There are some
11 illustrations that talk about solar and battery capacity
12 value. Can you take us through that.

13 A. Sure.

14 So this is important, first of all, to visualize
15 what we discussed before about batteries operating in the
16 future, with solar penetration, operating differently;
17 namely, later in the day and for a shorter period of time
18 than they might be operated today. So while it may be
19 understandable for a utility to say, this is how I
20 operate storage plants now, and that might be represented
21 by this middle chart with the purple area showing 8 a.m.
22 or so until 6 p.m. being the stretch of time when the
23 batteries are operated, in the future, with
24 high-penetration solar and looking at the whole system as
25 a portfolio, as utilities do, you can see that the

1 concentrated time of operating the batteries is around,
2 you know, dinnertime and early evening.

3 So it shifts to later in the day, and it's also
4 pointier. The shape of that purple blob is pointier on
5 the right than the flatter blob in the middle, signifying
6 or showing that there's a shorter time period over which
7 you would operate the batteries, and so that shows the
8 synergy. Which, by the way, is true in all parts of the
9 country, but particularly true in places with a lot of
10 solar energy.

11 So this is something that we wanted to quantify.
12 It was quantified in each regionalysis. But it doesn't
13 appear that each regionalysis of this synergy effect
14 showed up in SRP's economic analysis.

15 Q. And let's switch to Slide 14, and there's
16 another chart that helps depict this. Can you talk us
17 through that.

18 A. Sure.

19 So looking at that same concept a different way,
20 if you compare the lower line to the higher line in
21 green, the higher one in green shows when batteries are
22 applied; whereas, the lower ones are back to solar alone.
23 PV penetration is the horizontal axis of solar PV
24 penetration. When it goes from 0 to 5 to 15 and up to 25
25 percent, you have a certain amount of penetration

1 potential of storage. But when you're operating
2 together, you get this much higher penetration potential.

3 We can just -- well, we don't have to
4 distinguish between the 4, 6, and 8 at this time, but the
5 point is that you can do a lot more storage reliably with
6 batteries and vice versa. You can do a lot more
7 batteries with solar.

8 Q. And SRP has testified in this case that they are
9 adding a lot of solar to their system. Is it correct
10 that the CEP will not have that same impact on solar, it
11 will not increase the capacity value of that solar the
12 way batteries will?

13 A. Correct. That interaction is not nearly so
14 pronounced with gas plants.

15 Q. There's been a lot of comparisons between
16 batteries and the CEP project. On the next slide, on
17 Slide 15, can you explain what this is and how you've
18 used this to compare the potential run time of batteries
19 and the CEP project.

20 A. Sure.

21 So existing Coolidge generator operates for
22 short intervals.

23 This is about -- this type of natural gas plant,
24 which is a combustion turbine, simple-cycle combustion
25 turbine. And it needs to be understood that these are

1 plants that operate very little. They're built to just
2 operate for very few hours, and they tend to operate that
3 way. It's not like a combined-cycle plant that is more
4 day in, day out, or a nuclear or coal plant that people
5 used to call baseload. These are really peaking plants.
6 They really only operate for periods of time.

7 And so when you're comparing batteries that
8 don't operate for super long periods to combustion
9 turbines, you know, it's not like the combustion turbines
10 are really operating for long periods of time. The
11 reason in that case is because of the costs. They're
12 very expensive in terms of their operating cost to burn
13 the fuel because they're relatively inefficient in how
14 they burn fuel and it's expensive to operate them, so
15 utilities don't tend to operate them for very many hours.

16 Q. We see something with a lot of numbers on it on
17 the screen. Can you give us a brief description of what
18 it is that we're seeing there.

19 A. Yeah.

20 So this is information about how the current
21 power plants are dispatched, are operated. And so the
22 main number you're seeing across all of this is the
23 number zero, which is over different hours of different
24 days. Hours across the top, 1 through 24. Days across
25 the side there, August 1st, August 2nd, down through the

1 end of August.

2 You just -- you can just see visually where
3 there's a positive number, those are the hours that the
4 units are operating. And, you know, most of the time,
5 they're not at their maximum output. It's a lower number
6 than the 1,300 or so that is the highest number.

7 Q. And so this is -- and this is during times of
8 extreme heat and significant energy usage, correct?

9 A. That's right. So one would assume that this
10 would be the -- you know, the time when it would operate
11 the most relative to other months.

12 Q. And in your opinion, batteries could provide
13 this service in place of the gas plant?

14 A. Correct. That -- you look across here, there
15 aren't many extended periods, if any, where the plant is
16 operating. So batteries can provide bursts of a few
17 hours of energy. Or depending on how they operate, three
18 to five or more hours of energy when needed.

19 Q. Let's go to the next slide, Slide 16.

20 A. Slide 16 shows that SRP did not incorporate what
21 we're talking about before, which is the shifting of the
22 battery operation to the evening period into a more
23 concentrated number of hours. So that whole synergy
24 effect between solar and storage appears to have been
25 ignored in the SRP analysis .

1 The SRP slide here shows -- the black line going
2 up in terms of system need over the course of the hours
3 of the day, 1 through 24, along the horizontal axis
4 there. Capacity on the vertical axis.

5 So you can see in the afternoon, the black line
6 goes up at hours 16 through 18, you know, 4 and 6 p.m.,
7 that type of range. SRP's analysis shows in hours 19,
8 20, and 21, a red area there where there is unmet need.
9 So that may be the case if one chose to operate the
10 batteries sort of the old way of during the afternoon and
11 into the late afternoon but not into the evening.

12 But in the way one would operate with a lot of
13 solar on the system, shifting the battery usage to later,
14 to a more concentrated time, the batteries would be
15 available through hours 22 and 23, and that need would be
16 met in fact.

17 Q. Okay. Let's go to Slide 17.

18 Let me ask you about if you can help explain
19 some of the risks associated with further investment in
20 gas resources.

21 A. Sure.

22 So we've seen some dramatic incidents in the
23 last year, but it's not just the last year, where natural
24 gas is not always as reliable as one may think.

25 In February 2nd of 2011, SRP, in fact, had to

1 shed 300 megawatts of load, affecting 65,000 customers
2 after the loss of generators and supply from the Permian
3 Basin. The Permian Basin, of course, is the gas -- oil
4 and gas area in West Texas and Southeastern New Mexico.
5 A lot of the Southwest gas comes from that area through
6 pipelines that deliver to Arizona and California.

7 And we saw a year ago Winter Storm Uri, you
8 know, that area had a lot of freeze-offs, if you will.
9 The February 2021 bullet here, large scale freeze-offs of
10 constrained pipelines. So that obviously had dramatic
11 effects on Texas, where they lost a lot of their natural
12 gas capability, but also it affected a lot of the West.

13 And as recently as a couple weeks ago, just this
14 month, El Paso Natural Gas pipeline is experiencing a
15 loss of supply in the Permian Basin as a result of winter
16 weather and freeze-offs.

17 So just to make the point that natural gas is
18 not always as dependable as one may think, especially in
19 states like Arizona that depend on a state-or-two-away
20 resource rather than having it in the state.

21 Q. You mentioned the Winter Storm Uri. If we can
22 skip to Slide 18. Can you talk more about that and how
23 natural gas played a role in that issue.

24 A. Sure.

25 Some of the -- the two reliability regulators of

1 the country, Federal Energy Regulatory Commission, FERC,
2 where I used to work for the chairman there, and NERC,
3 which has been designated by FERC as the reliability
4 authority, they did a study after last year's outages in
5 Texas and other parts of the country. And the result was
6 a finding of a quite dramatic loss of generation
7 capacity. 192,000 megawatts of nameplate capacity lost.
8 That's an incredible amount of capacity that was lost,
9 and the majority of it was natural gas.

10 And that happens for a variety of reasons,
11 including issues at the actual natural gas power plant
12 with freezing. It's been widely publicized that there
13 was not always good winterization, which one might say,
14 why, in Texas, would you have, you know, winterized the
15 plant. But, of course, now we know these weather events
16 can happen there but also upstream on the pipeline with
17 compression stations, the well freeze-offs, etc., so it
18 was up and down the gas supply chain where there were
19 losses.

20 Q. Has NERC said anything about the relative risk
21 to Arizona of gas generation?

22 A. Yes. So on the next slide, 19, the red areas
23 show areas with over 400 megawatts of vulnerability.
24 This is also from a NERC report, the Potential Bulk Power
25 System Impacts Due to Severe Disruptions on the Natural

1 Gas System, and Arizona shows up in there as having a lot
2 of gas risk.

3 You know, other regions like New England, for
4 example, also have red blotches. They notably have only
5 about a third as much natural gas planned as California,
6 Arizona -- Southern California and Arizona. But they
7 famously have very limited pipeline import capability
8 into New England.

9 There's not quite the constraint in the
10 Southwest, but it is also a region that is dependent on
11 other regions for the actual gas.

12 Q. And Slide 20 talks more about or presents
13 another map relative to NERC's findings. Can you explain
14 that.

15 A. Sure.

16 So, yeah, the map on 20 kind of shows the
17 pipeline network. You can see where, again, Arizona gets
18 a lot of its gas from the Permian Basin there in West
19 Texas.

20 And the effective capacity is shown in the blue
21 bar chart. So California has some vulnerability, but
22 Arizona does as well. This is also from NERC's report
23 about vulnerability to the gas system.

24 Q. Is it your understanding -- or -- let me strike
25 that and start over.

1 Do you know whether or not SRP accounted for the
2 risks that are correlated to gas outages in analyzing
3 this project?

4 A. It doesn't look to us like SRP accounted for the
5 risk of correlated gas outages. And let me define that
6 term.

7 So correlated gas outages -- and we can turn to
8 Slide 21 for this. Correlated gas outages are the
9 phenomenon where multiple power plants are affected by
10 the same thing.

11 So the clearest example, just to explain it, is
12 in Texas, all these natural gas plants were affected by
13 that same Winter Storm Uri. And that's an example of how
14 one cause can affect multiple power plants.

15 And this idea of whether it's weather, whether
16 it's heat, whether it's cold, whether it's other kinds of
17 weather or maybe the failure of a pipeline, a loss of a
18 compressor station can affect many gas power plants in
19 the same way at the same time, which decreases the gas
20 plants' reliability contribution. That is not something
21 that it appears SRP took account of.

22 Now, they're certainly not alone in that. There
23 is a lot of research that's beginning to come out because
24 a lot of academics, national labs, government agencies,
25 etc., are noticing that we're relying a lot on natural

1 gas for our electric power system, and maybe we haven't
2 considered all of the vulnerabilities.

3 So this quote here from one recent article shows
4 this issue of the important limitation of current
5 resource adequacy modeling, which is distilling the
6 availability history of a generating unit to a single
7 value, which is incomplete.

8 And they say: Only by incorporating the full
9 availability history of each unit can we account for
10 correlations among the generator failures when
11 determining the capacity needs of a power system.

12 So, in other words, correlated failures, you're
13 talking about something that affects more than one
14 generation or maybe many generators in the same way at
15 the same time because the standard practice, and the
16 practice it appears SRP used, was to consider that every
17 gas generator was completely independent of every other.

18 So, you know, one could have a mechanical
19 failure and go down. And that's fine. And that by
20 itself isn't a reliability problem because it's
21 independent. Every other gas power plant would
22 presumably be fine. But the problem becomes when some
23 single event, whether gas pipeline delivery, etc.,
24 affects many generators, then you can have a significant
25 loss of reliability. So that's what it appears was not

1 taken into account.

2 Contrast that with batteries. Batteries aren't
3 relying on a pipeline for supply, and they've been robust
4 to weather.

5 Now, any individual battery can fail and just
6 shut down just like any other generator can. It's called
7 a forced outage. And a nuclear plant or coal plant, you
8 know, it happens. You don't read about it in the
9 newspapers because the system has enough other resources,
10 and it's built to withstand the loss of any one element
11 like that. But with batteries, these losses are truly
12 independent of each other. They don't have the
13 correlated risk that you would have with a natural gas
14 plant.

15 Q. Let's switch gears and talk about the need for
16 the capacity and reliability for this plant in the first
17 place.

18 And maybe we can go to Slide 23. And can you
19 explain what's there and your thoughts on this.

20 A. Sure.

21 So this idea of having enough supply, including
22 enough supply to withstand the loss of any one element
23 there is in the electric industry concept of reserve
24 margin. So we have enough cushion or reserve margin to
25 still be able to meet load even if any one generator

1 fails because all of them can fail at one time or another
2 for any number of causes. So this system is built to add
3 some cushion against that. So the primary basis for
4 adding new power plants is to make sure that future peak
5 loads are being met and with an ample reserve margin.

6 So in NERC's most recent long-term reliability
7 assessment, NERC, again, the reliability authority, they
8 show anticipated and prospective reserve margins, which
9 are the second to the bottom row and third to the bottom
10 row, ample, well above the reference margin level, which
11 is, you know, around 10, 12 percent. So reserves seem to
12 be strong through most of this decade.

13 Obviously, the situation gets murky later.
14 Nobody really knows exactly how much generation will
15 retire, new generation will come in, you know, five or
16 ten years in the future. But, of course, one can make
17 decisions five or ten -- you know, at that point in the
18 future or review this assessment every couple of years.
19 But it appears that the region has ample capacity for the
20 foreseeable future.

21 Q. Can we go to the next slide, Slide 24.

22 Please describe how this geographic diversity,
23 the spreading out of the solar and the battery storage,
24 provides a benefit.

25 A. Sure .

1 Well, just in case anybody's concerned about the
2 reliability of solar energy, you know, I get this
3 question a lot: What happens when clouds come through?
4 How do you depend on solar energy for your -- for much of
5 your power?

6 And it's important to understand that multiple
7 solar projects across -- spread out in a geographic area
8 are actually providing fairly steady and predictable
9 power output, much more so than, say, any given solar
10 panel, let's just say the solar panel on your roof.

11 Let's say you had a house and a panel on your
12 roof. You might be looking at the red line. If you
13 looked at the meter on your own solar panel, you might
14 see that over the course of the day, and this is hours of
15 the day, just some random day, you can see the output,
16 which is the vertical axis. The red line goes up and
17 down and up and down and, you know, that could be clouds
18 coming through. So this is a day that has clouds coming
19 through. And sometimes you're producing a lot, and then,
20 you know, 20 minutes later, barely any. And it goes up
21 and down like that. It doesn't go down to zero. You can
22 see in the lowest -- you know, in the middle of the day,
23 the lowest red line is still over 200. But, you know,
24 that's one-sixth of what it is at the sunniest time.

25 So that's what happens at one location. If you

1 take the blue one, and just take five sites, like call up
2 your five neighbors across some area maybe within, you
3 know, some neighborhood or section of town, the blue line
4 is steadier because you're aggregating the output across
5 five different areas that are relatively close by and
6 becomes a more steady output. And then, if you spread
7 across a larger area, then the power becomes steadier
8 still.

9 So I understand when E3's analysis was done, for
10 example, they were looking at different sites around the
11 state of Arizona. And, of course, if you're aggregating
12 across that wide an area, then you're going to have a
13 much more steady supply of solar output.

14 Q. Great.

15 If we could look at the next slide, you talked
16 more about the West markets and how they can meet the
17 needs for capacity. Can you talk more about that.

18 A. Sure.

19 So in recent years, the whole Western region has
20 put together much more and better trading of energy. And
21 that provides a further opportunity to get this
22 geographic diversity benefit that we were talking about
23 on the last slide. And you can quantify this by showing
24 the whole region compared to just individual states.

25 So the whole region is the blue line. And what

1 we're looking at here is penetration level of renewable
2 energy and the percent increase in variability. So, you
3 know, you might think, oh, when we were adding variable
4 renewable sources, then our overall system variability is
5 going up.

6 Well, in fact, if you do that for WECC, that's
7 the Western region, the Western electrical region, you
8 can go up 30 percent penetration of renewables, and
9 you're really not adding to the overall variability of
10 the system. And that's because of that geographic
11 aggregation effect we were looking at on the previous
12 slide. Now, if you were only looking at Arizona or New
13 Mexico or Nevada, you wouldn't get quite that same flat
14 effect. You would start seeing system variability go up.

15 So it just goes to show that larger aggregation
16 reduces variability, and the happy news is that there is
17 strong and robust and growing regional trading across the
18 entire West.

19 Q. And SRP is a member of the Energy Imbalance
20 Market today. Have you had a chance to look at how
21 that's impacted the need for ramping?

22 A. Correct.

23 So on the last slide, Slide 26, we can see that
24 this variability for which utilities need to add what's
25 called flexible ramping, this variability goes down now

1 that so many utilities are part of this Westwide Energy
2 Imbalance Market.

3 So you can see that about half of the
4 variability is taken care of because you have this
5 regional market. So they -- just looking at the first
6 column there, July Up, just to understand the numbers,
7 it's 1,317 megawatts saved, and the sum of the
8 requirements is 2,600. So about 50 percent there is
9 saved because of the trading geographically of this
10 energy across the West.

11 And then you can look across the other columns
12 and see that it's sometimes up to 64 percent. It's in
13 that range of around half of that need for flexible
14 ramping caused by variable renewable energy as well as
15 load and other factors that create uncertainty. But,
16 certainly, when you add renewable energy, you need to pay
17 attention to system variability.

18 It turns out, now that we have this Westwide
19 Energy Imbalance Market, you have to worry about it half
20 as much because the market reduces that need for flexible
21 ramping by 50 percent.

22 Q. Thank you for taking us through those slides. I
23 have a couple of additional questions for you.

24 Given the situation in Arizona and the West and
25 nationally with these new technologies and a move towards

1 renewable energy, what should the utilities do to
2 evaluate and make investments in these situations? How
3 should they look at that?

4 A. Well, I do applaud retaining an expert like E3
5 to look at the capacity value. You do need to obviously
6 look at your load growth, as they have done, and you need
7 to look at your capacity needs as well as your energy
8 needs and the overall cost of energy capacity and those
9 reliability services.

10 But when you find in your particular situation
11 that you have incredibly good capacity value that holds
12 on for a good long time, certainly over the life of the
13 asset for batteries along with all of the solar PV, that
14 seems to me to be a great investment; whereas, sinking
15 money, irreversible capital investments, into a resource
16 that is not all that dependable and that has a lot of
17 risks related to emissions regulation that could affect
18 it in the future as well as risks from volatile gas
19 prices -- you know, gas price as a commodity is twice as
20 high as it was a year ago nationally.

21 And if any of us had predicted that, we could be
22 rich. But, you know, the smartest traders don't know
23 this. Nobody really knows it. Gas prices are inherently
24 uncertain. So to invest in a natural gas plant when you
25 have this more economic opportunity that provides equal

1 and better reliability value, I think you go with that
2 solar-storage combination.

3 Q. And there's been some discussion during the
4 hearing about the comparison of the relative emissions
5 from -- or related to the mining and manufacturing of
6 solar and batteries as that compares to the lifetime
7 emissions of mining gas and then burning it for fuel at a
8 project like the CEP.

9 Do you have any information that can help the
10 Committee understand the comparisons between those two?

11 A. Well, sure. I mean, everything -- nothing comes
12 for free. Nothing comes with complete -- with zero
13 impact, right? So there are emissions associated with
14 the production of just about everything.

15 That can be quantified, though. The numbers
16 I've seen from like the National Renewable Energy Lab,
17 you can quantify life cycle emissions from different
18 energy sources. And I think any of the fossil resources,
19 natural gas, coal, will show up as much higher than
20 batteries, wind, or solar.

21 Q. Okay. Great.

22 And I think with your testimony and throughout
23 the slides in Exhibit 34, SC-34, you had references to
24 studies you relied on and other documentation on which
25 your presentation was based.

1 I want to just call out Exhibits SC-7 through
2 SC-18. Are those the documents and studies on which you
3 based your opinions and which you reviewed in preparing
4 for this testimony?

5 A. Yes.

6 Q. And then we have added your and will be filing
7 your CV as Exhibit 35. You can attest that that is an
8 accurate copy of your CV?

9 A. Yes.

10 Q. Is there anything else you want to say before I
11 turn you over for cross-examination?

12 A. I don't think so.

13 MR. RICH: Great.

14 Mr. Chairman, I'll make the witness available.

15 CHMN. KATZ: That's fine. Mr. Acken.

16 MR. ACKEN: Thank you, Chairman.

17

18 EXAMINATION

19 BY MR. ACKEN:

20 Q. Good morning, Mr. Gramlich. I am Burt Acken,
21 counsel for Salt River Project in this matter.

22 Can you hear me okay.

23 A. Yes, I can.

24 Q. And I said good morning to you, but I didn't
25 catch where you are located, so maybe I should ask that

1 question first.

2 A. It's just after noon here in Washington, D.C.

3 Q. Well, then good afternoon.

4 Have you ever operated an electrical utility
5 generation system?

6 A. No.

7 Q. Have you ever been responsible for ensuring
8 reliability for a load-serving entity?

9 A. No.

10 Q. I'd like to bring up SRP-Exhibit 2, Slide 51 and
11 Slide 110.

12 So Slide 51 is on the left screen that I hope
13 that you can see, and it's entitled: Meeting Near-term
14 Needs with an "And" Strategy.

15 A. I can see it.

16 Q. So do you see that SRP is planning to add 450
17 megawatts of battery storage by 2023?

18 A. Yes.

19 Q. And were you aware of that prior to your
20 testimony?

21 A. Yes.

22 Q. And do you see that on Slide 110 of SRP
23 Exhibit 2 that this shows a comparison of carbon
24 emissions from the SRP proposal that includes the
25 Coolidge Expansion Project with the alternative battery

1 portfolio? Do you see that?

2 A. I see that.

3 Q. And a prior witness for Western Resource
4 Advocates testified that SRP, even with including the
5 Coolidge Expansion Project, will reduce carbon emissions
6 from a 2005 baseline by nearly 75 percent. Do you have
7 any reason to disagree with that?

8 A. I haven't done that math myself, so I can't
9 agree or disagree with it.

10 Q. I'd like to turn to Slide 5 of your
11 presentation.

12 MR. ACKEN: If I could have that pulled on the
13 left screen. Thank you.

14 And, again, that's Slide 5 of the presentation
15 that we just had.

16 Thank you very much.

17 Q. BY MR. ACKEN: So you testified about the amount
18 of battery capacity that ELCC -- or, excuse me -- E3 said
19 would be necessary to replace the Coolidge Expansion
20 Project in 2026; is that correct?

21 A. Correct.

22 Q. How much additional battery capacity did E3 say
23 would be needed in 2033?

24 A. I can barely see this, but I can look at my hard
25 copy. 1,748.

1 Q. And this slide clips off -- this slide, I'm
2 referring to Slide 5 from your presentation, clips off at
3 the year 2050. Do you know why that was done?

4 A. I don't.

5 Q. Do you know what E3's study showed as the amount
6 of battery storage that would be necessary to replace the
7 Coolidge Expansion Project in 2050?

8 A. I saw it, but I don't recall the number offhand.

9 Q. Does 3,511 megawatts sound familiar?

10 A. I don't dispute it.

11 Q. Thank you.

12 And I understand you're stepping in, so it's a
13 tough position, so I appreciate you taking the time to go
14 through that.

15 Next I want to look at Slide 7.

16 And, again, this shows your cost comparison only
17 through 2026, correct?

18 A. So the last column says Cost over 20 years. The
19 megawatts on the -- I see what you're saying. This is
20 for if batteries were -- CEP added in 2026 based on the
21 731, which is the 2026 number. So, yeah, I see that.

22 Q. And, I'm sorry, I think there's a little bit of
23 a lag.

24 And so, presumably, as the amount of megawatts
25 needed to replace the Coolidge Expansion Project in later

1 years increases, so, too, would the cost; is that
2 correct?

3 A. Well, the capital costs are projected to
4 decline. We can see NREL's cost in 2025 lower than 2022.
5 And, presumably, if cost trends continue, the costs keep
6 going down.

7 And I'm not totally sure what you're asking
8 because --

9 Q. Well, let me restate it.

10 A. Okay.

11 Q. Let me restate it so maybe I can make this
12 clear.

13 SRP has testified that it also agrees that
14 battery costs will go down over time. So that's not my
15 question.

16 But regardless of whether battery costs will go
17 down, there still will be costs associated with battery
18 installations after 2026; is that correct?

19 A. Well, yeah. I mean, the contributions to a
20 future portfolio could be different than today, but the
21 contribution of that next battery, let's say the 731
22 megawatts that you put in today, would be that valuable
23 to the portfolio. What happens in the future depends on
24 the future portfolio.

25 Q. Yeah. My question is still a little different,

1 and it's a simple one.

2 Batteries added after 2026 will have some cost
3 associated with them, correct?

4 A. Sure.

5 Q. And your Slide 7 does not show the cost
6 associated -- any cost estimates associated with those
7 additional battery additions, correct?

8 A. I guess that is correct.

9 Q. Next I want to turn to Slide 9.

10 You testified, if I understood you correctly,
11 about all the services, if you will, that batteries can
12 provide shown on this slide. Is that a fair
13 characterization of your testimony?

14 A. Yes.

15 Q. And can a battery -- can a single battery
16 provide all of these services at once?

17 A. At once? I'm not sure any of these are designed
18 to be provided at once for any generating source.

19 Q. In your -- on the very first line, it talks
20 about storage response within seconds versus ten minutes
21 for gas turbines, maximizing profit. To whom are we
22 maximizing profit?

23 A. I mean, it's any type of entity. This is --
24 this is a general slide about technologies used by
25 commercial entities which could be publicly owned or

1 privately owned entities. So maximizing the value to
2 whoever owns that resource.

3 Q. And do you understand -- are you aware whether
4 SRP is a nonprofit entity?

5 A. Yes. My understanding, it's a public power
6 entity, not, for example, an investor-owned utility or an
7 independent power producer.

8 Q. And as a nonprofit entity, do you know whether
9 SRP is a cost minimizer?

10 A. Well, I'm sure it tries to minimize cost.
11 Whether it does or doesn't, I can't vouch for that.

12 Q. It certainly does not have an incentive to
13 increase cost. Would you agree with that?

14 A. Not that I'm aware of.

15 Q. I'm sorry, that wasn't a clear response.

16 Do you agree that it has no incentive to
17 increase cost?

18 A. I'm not aware of any incentive it has to
19 increase cost.

20 Q. Next I want to turn to Slide 10. Correct me if
21 I'm wrong, but my understanding is what you are showing
22 are projects in the queue, so to speak, correct?

23 A. Correct.

24 Q. And can you describe what that means, "projects
25 in the queue"?

1 A. Projects that have applied for interconnection
2 to transmission owner systems.

3 Q. And so these are not utility commitments to
4 acquire those resources, is it?

5 A. Correct, not necessarily.

6 Q. And in your experience, do you see renewable
7 developers put projects in the queue in advance of having
8 an agreement with a utility to buy that power?

9 A. Yes, that can happen.

10 Q. Are you aware of whether it does?

11 A. It does happen, yes.

12 Q. I want to go to Slide 11. You talked about
13 forced capacity and perhaps saturation levels in this
14 discussion.

15 Would you agree that battery storage also
16 experiences saturation effects at high penetration levels
17 due to energy limitations and duration?

18 A. Yes. And the definition of "high" is my
19 understanding for a region like the Southwest, beyond
20 30 percent or so penetration, meaning the capacity of
21 storage relative to the total capacity of the system.
22 Then you start getting below around 80 percent capacity
23 value. But up until then -- and my understanding is SRP
24 is well below anything approaching that level of
25 penetration -- the capacity value holds over 80 and into

1 the 90s.

2 Q. And you said that the saturation level, if you
3 will, depends on solar penetration?

4 A. It does. In part, the capacity value of storage
5 is higher with higher solar penetration.

6 Q. And do you know what SRP's projected solar
7 penetration is in 2035, for example?

8 A. I don't know that number off the top of my head,
9 but I imagine it is growing.

10 Q. I'm sorry. I didn't catch the end of it. You
11 said it is probably ...

12 A. Growing. The penetration of solar is probably
13 growing.

14 Q. And you don't have any specific information
15 regarding what that number might be?

16 A. If you're asking the exact solar penetration in
17 2035 for SRP, I don't have that off the top of my head,
18 no.

19 Q. I want to turn to Slide 17 next. And talk about
20 that February 2021 event. And this was the Winter Storm
21 Uri event you described.

22 A. Yep.

23 Q. And in the following slide, you had -- you
24 showed all the resources that were unavailable.

25 Do you know how many megawatts of gas generation

1 in Arizona went offline as a result of the gas
2 freeze-offs in Texas?

3 A. I don't think we put that in here.

4 Q. So you don't know what the answer is?

5 A. No, I don't.

6 Q. So it could be zero?

7 A. It's possible.

8 Q. Let's turn to Slide 21. Do you know what this
9 study -- and the study I'm referring to is listed on
10 Slide 21 of your presentation, the recent NERC-Carnegie
11 Melon journal article.

12 Do you know what it said with respect to WECC?

13 A. I do not.

14 Q. You don't know whether the report stated that
15 WECC was an exception for this analysis?

16 MR. RICH: Objection, Your Honor. He said he
17 didn't know what it said.

18 CHMN. KATZ: The witness, if you can answer it,
19 he can. And if he cannot, he can let us know.

20 THE WITNESS: I don't know what the report said
21 about WECC.

22 Q. BY MR. ACKEN: Okay. Let's turn to Slide 23.
23 So if I understood your testimony, we're talking about
24 reserve margins -- or "we," I should say you, referencing
25 the NERC study talking about reserve margins; is that

1 correct?

2 A. Correct.

3 Q. And in 2022, is looking at reserve margins
4 considered best practices for evaluating reliability
5 needs?

6 A. Well, traditionally, that is the metric that's
7 used. As the future resource mix changes, it's one
8 useful metric but not the only one.

9 Q. And another method would be to use probability
10 modeling, which is what SRP and E3 used; is that correct?

11 A. Correct.

12 Q. And do you know whether the NERC report
13 referenced in your slide expressed any opinion on the use
14 of this plant reserve margin and its sufficiency to
15 define reliability?

16 A. I don't know if it did.

17 Q. I'm going to turn to Slide 25. This is your
18 discussion of WECC and Westwide markets.

19 Does WECC include California?

20 A. Yes.

21 Q. Are you suggesting that Arizona rely on
22 California resources to serve loads during regional
23 heatwaves such as what occurred in August of 2020?

24 A. Not specifically that, no.

25 Q. And do you think a prudent operator should have

1 sufficient resources to serve its own load?

2 A. I think arranging power in advance is a good
3 idea, whether it's local or remote. And a prudent
4 practice is also to provide some flexibility for, you
5 know, shorter-term -- month-to-month and shorter-term
6 transactions as well.

7 Q. I want to talk to you about your testimony
8 generally regarding natural gas reliability risk.

9 Would you agree with me that no generating
10 resource is 100 percent reliable?

11 A. Yes, with the caveat that reliability is only a
12 systemwide concept and not a generator-specific concept,
13 but you can, as we discussed before, measure the
14 contribution to system reliability of the individual
15 resources. For example --

16 Q. And are batteries 100 percent reliable?

17 A. No resource has 100 percent capacity value, and
18 that --

19 Q. Would that include batteries?

20 A. Right.

21 Q. And would you agree that given no resource is
22 100 percent reliable, a prudent operator should have a
23 diverse portfolio of resources?

24 A. Yes.

25 Q. And are you familiar with SRP's track record of
COASH & COASH, INC.
www.coashandcoash.com

602-258-1440
Phoenix, AZ

1 reliability?

2 A. Not specifically, but I have no basis for
3 thinking it's not reliable.

4 MR. ACKEN: No further questions at this time.

5 CHMN. KATZ: I'd like to take our morning recess
6 right now, and then we can continue with
7 cross-examination.

8 It's about 20 minutes to 11. Let's plan on
9 going at about 10:55 -- between 10:55 and 11:00. The
10 sooner the better.

11 (A recess was taken from 10:37 a.m. to 10:58
12 a.m.)

13 CHMN. KATZ: Okay. I think we have everybody
14 that is participating here.

15 And you were done with your cross; is that
16 correct, Mr. Acken?

17 MR. ACKEN: I am. Thank you, Mr. Chairman.

18 CHMN. KATZ: And, Mr. Stafford.

19 MR. STAFFORD: No questions, Chairman.

20 CHMN. KATZ: Ms. Post.

21 MS. POST: No questions.

22 MR. RICH: Mr. Chairman, can I just make sure
23 that the witness is back on. I don't see his picture
24 yet.

25 There we go.

1 CHMN. KATZ: Thank you for your patience. And
2 does the Corporation Commission have any questions?

3 MS. UST: Just one question.

4

5 CROSS-EXAMINATION

6 BY MS. UST:

7 Q. Are you aware of any facilities with the same
8 battery storage capacity as the Coolidge Expansion
9 Project?

10 I don't think we heard you there.

11 CHMN. KATZ: You're muted.

12 THE WITNESS: My answer is not specifically, no.
13 Can you hear me?

14 MS. UST: Yes. We heard that.

15 Thank you. No further questions.

16 CHMN. KATZ: Before we go back to any redirect,
17 does the Committee have any questions?

18 MEMBER HAMWAY: Yes, Mr. Chairman, I have some.

19 CHMN. KATZ: Yes, Member Hamway.

20 MEMBER HAMWAY: So we heard testimony from SRP
21 that over time, these CTs, the combustion turbines, could
22 be converted from natural gas to hydrogen. Does that
23 change your opinion about this project?

24 MR. GRAMLICH: Well, I don't -- it's not really
25 my role to have an opinion about the projects. I saw

1 that testimony. I can't vouch for that opportunity.

2 MEMBER HAMWAY: Okay. And then we heard that
3 nationwide, United States nationwide, we only have 3,200
4 megawatts of battery storage in production. So do you
5 think it's prudent to kind of push utilities in this
6 direction before they're comfortable moving forward with
7 inexperience in dealing with this and making sure all the
8 components of the software and everything are compatible
9 and how it works? Do you feel that they're ready to jump
10 into something like that?

11 MR. GRAMLICH: Well, I think utility-scale
12 batteries are commercially ready, proven, and deployed
13 all over the world by utilities across the country, so I
14 think they're commercially ready, yes.

15 MEMBER HAMWAY: And then I had asked the
16 applicant what was the largest storage system singularly
17 in the United States and in Arizona. But you can get
18 back to me.

19 And then we saw a quote from NERC that basically
20 says that the battery and the solar hybrid systems aren't
21 ready to be deployed full tilt without some sort of
22 alternative backup such as fossil fuels. So do you agree
23 with that statement from NERC?

24 MR. GRAMLICH: Well, I think there is a lot of
25 conventional generation still on the system. So I think

1 consistent with that quote, and I don't recall the exact
2 words, but I didn't read that statement as suggesting
3 that new conventional generation, natural gas or
4 otherwise, would be needed.

5 I do personally believe that all or nearly
6 all -- a lot of the existing gas plants that are out
7 there will be sticking around for quite some time and the
8 nuclear plants with their carbon-free energy, and there
9 is a large component of generation that isn't going away
10 tomorrow.

11 MEMBER HAMWAY: And then are you familiar with
12 the term "black start" or "dark start" systems?

13 MR. GRAMLICH: Yes.

14 MEMBER HAMWAY: So is the Coolidge Expansion
15 Project a black start or dark start plant?

16 MR. GRAMLICH: I don't know the answer to that.

17 MEMBER HAMWAY: And then these questions go to
18 SRP's cross. I guess one question.

19 So how much Arizona gas that was supplied during
20 February '21 was disrupted? I'm asking SRP.

21 MR. ACKEN: I'm sorry. We will address that.
22 We can address that on rebuttal. I certainly cannot
23 answer that question.

24 MEMBER HAMWAY: Okay.

25 MR. ACKEN: I will have a witness available to

1 do so.

2 MEMBER HAMWAY: And then a couple of years ago,
3 this Committee had a presentation from Cal ISO about the
4 Energy Imbalance Markets.

5 And I asked the question then of whether the
6 need for imbalance markets decrease as the value and
7 reliability of storage increases. Are they related to
8 each other?

9 MR. GRAMLICH: Well, I mean, I think with the
10 growth of renewable energy across the region, the value
11 of that regional market is increasing every single year.
12 Would it be greater if, let's say, we had no battery
13 opportunities, storage opportunities? Yes, it would be
14 greater.

15 So in that sense, storage and markets are
16 sometimes substitutes a little bit, but we really need
17 them both.

18 MEMBER HAMWAY: Okay. Thank you. That's all my
19 questions.

20 CHMN. KATZ: Anybody else from the Committee
21 that's present have questions?

22 (No response.)

23 CHMN. KATZ: We can now go to virtual
24 participants. Was it Member Little that had a question?

25 MEMBER LITTLE: I did. Sorry for interrupting

1 you.

2 CHMN. KATZ: You're fine.

3 MEMBER LITTLE: Mr. Gramlich, thank you very
4 much for being here with us today. I appreciate your
5 testimony.

6 I have a question. I'm not real sure I
7 understand how it is that additional solar can shift the
8 need for batteries or gas until later in the day. You
9 said something about batteries could operate with enough
10 solar and gas -- I'm sorry -- solar and batteries that
11 the need -- the need for the batteries could shift to 7
12 to 11 p.m. The solar generation starts decreasing
13 earlier than that in the day.

14 Can you explain that a little better for me,
15 please.

16 MR. GRAMLICH: Sure.

17 Well, the solar generation, if you have a very
18 large fleet, it won't be producing at the same quantity
19 at 6 p.m. as it does at 1 p.m., but it will still be
20 producing quite a bit. And if there's a lot of it, you
21 can, you know, charge your battery through all the early
22 afternoon hours and then be ready for when it really does
23 go away, depending on the season, let's just say 7 or
24 8 p.m., when it -- when the sun sets. And then you're
25 ready with the battery at 6, 7, 8 p.m. And into the

1 evening, until 10, 11, you can last that long.

2 So is the ability to shift is a function of how
3 much solar you have on the system. So the more you're
4 really flooding the power system with solar all the way
5 through the afternoon and in very large quantities in the
6 middle of the day, the more you're able to just really
7 hold your full battery charge, hold it up, hold that
8 charge, and then discharge later in the day.

9 MEMBER LITTLE: So let me see if I've got this
10 right. If a solar system, for example, decreases to 20
11 percent output by 5:30 in the afternoon, if you've got
12 enough of it, 20 percent of a huge number is enough to
13 cover the needs?

14 MR. GRAMLICH: That's right. That's right.

15 And there's also a dynamic here where -- let's
16 say it's a cloudy day, so you're not charging as much,
17 you don't have the ability to have as much solar to
18 charge the batteries. Well, it turns out those also are
19 the days you also need less air conditioning in the
20 evening. It's a cooler day. So on the really sunny
21 days, you can charge a lot and discharge a lot. And on
22 the cloudy days, you can charge less and discharge less,
23 but you don't need to.

24 MEMBER LITTLE: Thank you.

25 CHMN. KATZ: Any other virtual participants on

1 the Committee that have any questions?

2 MEMBER GENTLES: I have one question,
3 Mr. Chairman.

4 CHMN. KATZ: Sure. Mr. Gentles, go ahead.

5 MEMBER GENTLES: Mr. -- is it "GRAM-lich"?

6 MR. GRAMLICH: "GRAM-lick."

7 MEMBER GENTLES: Sorry about that.

8 A couple days ago, SRP provided some information
9 on the net present value on each of the alternatives,
10 including the current alternative. Actually, from what
11 they said, the alternatives that they had presented.

12 And it said that this plant had the highest net
13 present value return for SRP. Have you seen that? And
14 can you make a comment on those calculations based on
15 your testimony?

16 MR. GRAMLICH: Yes. I believe that that is when
17 they're comparing to a false choice. They are comparing
18 to an uneconomic portfolio where, if they took E3's
19 analysis, this consultant that they hired -- I think
20 they've hired them multiple times to do different things.
21 If they took E3's numbers, that NPV would turn out more
22 favorably for the solar-battery combination.

23 I don't know if E3 did that NPV calculation for
24 them, but I think if you took their capacity numbers and
25 plug them in, you would get a lower -- sorry, a higher

1 NPV, better value, for the solar-storage combination.

2 MEMBER GENTLES: So with NPV, you're calculating
3 net present value of future tax flows. So it's only as
4 good as the inputs or the projections that you use in the
5 NPV calculation; is that right?

6 MR. GRAMLICH: That's right. That's right. I
7 mean, just to clarify the point, if someone says you
8 need, you know, 4,000 megawatts instead of 1,000
9 megawatts, then you're going to have to pay 4 times more
10 than you need. So that's the fundamental different
11 position here, I think, that's different between E3's
12 number and SRP's number. I don't know where SRP's number
13 came from, but I have enough experience to trust that
14 E3's number is pretty credible. So if E3 is saying, you
15 don't need to buy the higher number, you can just procure
16 the lower number, obviously, you're going to spend a lot
17 less money if you only need to buy the lower number.

18 MEMBER GENTLES: Thank you.

19 That's all I had, Mr. Chairman.

20 CHMN. KATZ: I believe Mr. Palmer had a question
21 or two.

22 MEMBER PALMER: Just one question, Mr. Chairman.

23 I'm curious. As I was thinking about costs and
24 values, in myself or on my laptop computer, there is a
25 lithium ion battery. And my experience tells me that

1 over the course of a year or two or three, whatever the
2 case might be, that in charging and discharging that
3 every day, that soon the battery has to be replaced or
4 the phone has to be replaced. It no longer will charge
5 to full capacity or hold its charge for the full
6 capacity.

7 Do we know yet what is the life cycle of a
8 lithium ion battery on a utility-scale application?

9 MR. GRAMLICH: The manufacturers will guarantee
10 a certain performance, and that is certainly an issue
11 that any buyer of batteries pays attention to. I don't
12 know what the current warranties are doing, but that is
13 something -- the type of thing that is factored into an
14 NPV calculation in terms of, you know, how many cycles it
15 can do over its lifetime, and it's based on estimates of
16 its expected use and, you know, the cost and everything
17 else.

18 MEMBER PALMER: Thank you.

19 CHMN. KATZ: I have one or two questions as
20 well.

21 And the question by Ms. Ust from the Corporation
22 Commission a few minutes ago, asked you if there are any
23 battery storage facilities essentially the size of the
24 expansion area or 100 acres.

25 The question that I have is a follow-up to that,

1 and that is, how many -- just in a battery storage
2 situation, not a hybrid situation, do you have any idea
3 of how many acres of land would be required to have a
4 battery storage plant sufficient to put out somewhere
5 between 700 and 820 megawatts? Because SRP already owns
6 this acreage. It doesn't have to go out and buy more.

7 MR. GRAMLICH: Yeah. Well, I don't have the
8 exact number right now. That is certainly a number that
9 could be found. So perhaps I or somebody else could get
10 you that for the record here.

11 I will say that batteries are very modular and
12 that you can do a whole bunch of little ones or one big
13 one or spread it around in different locations. They're
14 extremely location-flexible and size-flexible. So
15 there's not -- that I'm aware of, I haven't heard of site
16 constraints, in other words, where developers might be
17 unable to find a place to put them. You can put them
18 almost anywhere.

19 CHMN. KATZ: But we don't know whether or not we
20 could get 7- or 800 megawatts generated within the
21 100-acre site. Maybe we can, maybe we can't, but that's
22 something that hasn't been studied or that you're aware
23 of?

24 MR. GRAMLICH: Not that I'm aware of.

25 CHMN. KATZ: Let me ask you this, though: If we

1 go to a hybrid model where we're looking at solar panels
2 and battery storage, that's going to take up considerably
3 more acreage than 100 acres to generate the equivalent
4 amount of power, correct?

5 MR. GRAMLICH: I would guess that's correct. Of
6 course there are a lot of places to put them. So I think
7 we're not just looking at this site, but across the
8 entire state or even region. It doesn't necessarily have
9 to be in the state. I would guess there's plenty of
10 sites available for the solar and storage that would be
11 needed even in the most ambitious renewable energy
12 planned facility.

13 CHMN. KATZ: And has the modeling that you or
14 SRP has done taken into consideration the cost of
15 acquiring land to install solar and battery as opposed to
16 just the cost of installing the batteries or the solar
17 panels?

18 MR. GRAMLICH: It is standard practice to
19 include the cost of land in any generation cost
20 assessment. So without recalling specific numbers in the
21 E3 report or SRP testimony, I would certainly imagine
22 they included land costs.

23 CHMN. KATZ: I had just one last question.
24 Going back to just battery storage for the -- instead of
25 building the new gas generation plant, right now, there

1 are 12 generators at the existing site. They're not
2 always running, as you indicated, full time.

3 But if we had battery storage, wouldn't we have
4 to operate those generators at a greater capacity in
5 order to supply the necessary power to the community as
6 well as to charge the batteries?

7 MR. GRAMLICH: Actually, one of the great things
8 about utility-scale storage is that it can charge from
9 the grid. So the power could be coming from any resource
10 that's on the system. And so that's why a lot of the
11 analysis here is looking at the total system load and
12 total system generation. And so at any rate, it wouldn't
13 necessarily -- the existence of a battery on that site or
14 even anywhere would not necessarily change the operation
15 of the existing gas plants.

16 CHMN. KATZ: And without battery storage or some
17 type of storage, a lot of that power in the grid goes to
18 waste if it isn't used by consumers or industry; is that
19 correct?

20 MR. GRAMLICH: Yeah, there's certainly a
21 potential to waste a lot of renewable energy if it's not
22 stored.

23 CHMN. KATZ: Irrespective of what source that
24 energy is?

25 MR. GRAMLICH: True. But we find more risk of

1 wasted spilled energy from wind and solar than we do from
2 other resources just because there are times with
3 extremely plentiful wind and solar output that may be
4 more than the load needs at a given moment.

5 CHMN. KATZ: Thank you. I have no further
6 questions.

7 If the Committee has none further, we can go
8 back to redirect examination.

9 MEMBER GRINNELL: Mr. Chairman.

10 CHMN. KATZ: Yes, Mr. Grinnell.

11 MEMBER GRINNELL: I didn't realize I was on
12 mute, probably to the benefit of everybody here.

13 My understanding of the solar panel
14 manufacturers is predominantly, actually over 90 percent,
15 are coming out of China; is that correct?

16 MR. GRAMLICH: Certainly, there's Asian
17 production. I don't know the exact numbers.

18 MEMBER GRINNELL: And, also, it's been testified
19 to or agreed upon that there has been issues with the
20 inverters. Do you agree with that?

21 MR. RICH: Mr. Chairman, I need to object to the
22 characterization. I don't know that it's been agreed
23 upon by anyone that there's been problems with the
24 inverters.

25 CHMN. KATZ: Well, the witness can tell us in

1 response to the question whether or not he's aware of any
2 problems with inverters.

3 MR. GRAMLICH: Well, I think the inverter
4 settings are now pretty well understood, and they have
5 tremendous capability and reliability value. You just
6 need to set them correctly.

7 So NERC has looked at that, the solar industry
8 has looked at that, and they're updating some of the
9 inverter programming methods. It's basically software,
10 how do you control the plant with software, and they have
11 a good understanding how to do that.

12 CHMN. KATZ: On that question, are there any
13 national standards in terms of inverters to convert the
14 direct current to AC, or is it every plant doing things
15 differently?

16 MR. GRAMLICH: I believe there are some
17 standards and some just guidelines and industry
18 practices. I feel like I just read something about an
19 IEEE standard. That's the electrical engineering
20 society.

21 CHMN. KATZ: Thank you.

22 Mr. Grinnell, were you done? I didn't mean to
23 interrupt you.

24 MEMBER GRINNELL: No, that's okay.

25 To this end, right now, Michigan, Detroit, where

1 I have a place, they are running into issues in getting
2 components, chips and things, out of Taiwan and China.
3 And given the amount of stress there appears to be right
4 now between the U.S. and China, what would be your
5 concept of a backup system in the event we could no
6 longer get these materials and critical minerals,
7 particularly, to manufacture these panels and inverters?
8 What would be your idea of a backup plan to supply energy
9 to the U.S.?

10 MR. GRAMLICH: Well, we can manufacture more
11 here. I mean, there's a lot of discussion in Washington
12 about bringing a lot more manufacturing here.

13 I don't think this is a binding constraint on
14 any particular state or utility's near-term plans.
15 There's a little bit of a premium in supply chains,
16 obviously, across the economy, and some of these
17 technologies are not exceptions to that. But, hopefully,
18 that will sort itself out.

19 But longer term, there's certainly more interest
20 in bringing some of the manufacturing here, given the
21 growth that just about every utility in the country is
22 looking at massive solar storage and wind growth.

23 MEMBER GRINNELL: But we don't have that here
24 today, my understand; is that correct?

25 MR. GRAMLICH: We have a little, but not very

1 much yet.

2 MEMBER GRINNELL: And then given the fact
3 that -- clean energy is a good thing. There's no
4 argument there. Renewable energy is a good thing. But
5 aren't we going through a period of transition where
6 there's an evolution, and it needs to be -- there's been
7 a massive expansion of solar fields, from what I've seen
8 in this hearing.

9 Would you agree that it would be prudent, as I
10 believe Ms. Hamway addressed, to have a backup source in
11 the event that we find throughout this transition to have
12 a -- I guess just have a reliable backup source?

13 MR. GRAMLICH: Well, you know, if we were
14 talking about closing the entire current fleet tomorrow
15 and replacing with 100 percent renewable energy, we would
16 have some difficult analytical questions about how do you
17 meet load in every hour.

18 That's not what's being discussed here. In
19 fact, I think it is a very gradual evolution, step by
20 step, looking at each year and hopefully getting current
21 market prices to see what can provide projected
22 reliability and system needs. And, you know, a very good
23 metric of that value is this capacity value. A very good
24 analysis can be done by a consultant like E3.

25 E3, by the way, has recommended in other states

1 that they need to build new gas. I don't think their
2 numbers in this case indicate the need for that and, in
3 fact, indicate the economic opportunity to do better with
4 solar and storage together.

5 MEMBER GRINNELL: Thank you, sir.

6 Mr. Chairman, I need to go mobile to the
7 hospital on a personal matter we discussed. So I will be
8 listening by telephone from here on out today.

9 CHMN. KATZ: That's fine. We appreciate your
10 participation wherever you're located. Have a good day.

11 MEMBER GRINNELL: Thank you.

12 MR. RICH: Mr. Chairman, I just have some brief
13 redirect.

14 CHMN. KATZ: Whatever you need.

15

16 REDIRECT EXAMINATION

17 BY MR. RICH:

18 Q. Mr. Gramlich, I wanted to follow up on a couple
19 of issues.

20 First, you were just asked about inverters. Do
21 you recall that?

22 A. Yes.

23 Q. And is it your understanding that inverters are
24 used with each rooftop solar generating system?

25 A. Yes.

1 Q. And with every utility-scale solar system?

2 A. Yes.

3 Q. And so, to the extent that SRP has roughly
4 45,000 rooftop solar systems on its grid, those each are
5 operating with inverters today, correct?

6 A. Correct.

7 Q. Are you aware of any issues either in SRP's
8 service territory or elsewhere where inverter failures or
9 issues have caused problems?

10 A. Well, I mean, the utility-scale plants that
11 we're talking about are very different from the rooftop.
12 And these are large commercial entities with very
13 sophisticated controls and inverter software systems.
14 And, you know, we're learning a lot, I think, about just
15 all the capabilities that inverters provide because, as
16 we discussed before, you can control to the subsecond the
17 power output and reactor power and those sorts of things.

18 So it's going to be, you know, a continuing
19 evolution of fine tuning those inverter controls for the
20 rest of my career and beyond. So I don't want to say
21 it's sort of all decided and set and closed up right now,
22 but people understand how to do this and make them
23 reliable.

24 Q. You were asked about -- I think the attorney for
25 the Corporation Commission asked you about whether or not

1 you were aware of a battery installation of this size.

2 Do you recall that question?

3 A. Yes.

4 Q. One of the advantages of batteries is that they
5 can be installed modularly throughout the jurisdiction of
6 the utility, correct?

7 A. Correct.

8 Q. And would you expect, then, that SRP would have
9 the option of deploying a replacement project either in
10 one location or in multiple locations?

11 A. Sure. You could do 100 7.3-megawatt units and
12 get to the 730 megawatt if you wanted to.

13 Q. And those can be located even on the
14 distribution grid, correct?

15 A. Many, many places, yes.

16 Q. And locating in certain geographic locations,
17 there's an opportunity to take advantage of other
18 benefits of avoided infrastructure costs that would need
19 to be expended, correct?

20 A. That's true. You could put them closer to load.

21 Q. Can you explain how there could be additional
22 benefits from avoiding transmission or distribution
23 upgrades for battery storage?

24 A. Sure.

25 In a way, storage can operate as a transmission

1 asset or a distribution asset in some ways. In other
2 words, if, let's say, there's a circuit or a part of the
3 grid that expects a lot of consumption, let's say there's
4 a lot of electric vehicles going in a neighborhood, if
5 you have batteries closer to that point, then you can
6 provide the need and you may not need as much
7 distribution wire or transmission line to that area.

8 Q. And so that, then, saves ratepayers money
9 because the utility doesn't have to make that investment,
10 correct?

11 A. Correct.

12 Q. Let me ask -- I just have one more set of
13 questions. If we could have from your presentation
14 Slide 5 put on the screen.

15 CHMN. KATZ: And these are all in Exhibit 34?

16 MR. RICH: Yes.

17 CHMN. KATZ: And that's Sierra Club's
18 Exhibit 34.

19 Go ahead.

20 MR. RICH: Thank you.

21 Q. BY MR. RICH: So you were asked on
22 cross-examination about what E3's analysis showed in
23 2050. Do you recall that?

24 A. Yes.

25 Q. And in this Slide 5, we see that E3 predicted
COASH & COASH, INC.
www.coashandcoash.com

602-258-1440
Phoenix, AZ

1 that as far as 2040, the ELCC of the storage plant would
2 have to be 1,140 megawatts to equal the CEP, correct?

3 A. Correct.

4 Q. And can you comment on what SRP -- their
5 questions to you about the 2050 numbers and the relevance
6 of those numbers and if we should be relying on those
7 numbers that are 28 years in the future.

8 A. Well, I tend not to look at numbers in the
9 2040s. First of all, the assets we're talking about
10 would be at the end of the lifetime that you plan on
11 them, 28 years from now until 2050. You know, if we have
12 batteries that last that long or the generators that last
13 that long, you know, that's a good long life.

14 But the other thing is, you know, who knows what
15 the resource mix will look like in the 2040s. I mean,
16 imagine trying to make that assessment in 1990 about
17 today. I mean, batteries, solar, wind, they were nowhere
18 on any utility resource planner's radar screen at that
19 point. So there's plenty of time, plenty of decision
20 points in the next five years, let alone the next 25
21 years, to readjust and plan and build whatever may be
22 needed.

23 MR. RICH: Great. Mr. Gramlich, I appreciate
24 your testimony, and thank you for stepping in as you did
25 as well.

1 I have no further questions.

2 CHMN. KATZ: Any reason why this witness can't
3 be excused?

4 (No response.)

5 CHMN. KATZ: Thank you very much. And I don't
6 know if it's Dr. or Mr., but thank you for being here
7 with us today.

8 THE WITNESS: Thank you.

9 CHMN. KATZ: Bye-bye.

10 (The witness was excused.)

11 CHMN. KATZ: I just need to ask you all where
12 we're at. We've only been going about a half an hour.
13 We can work till as late as 12:30. If we do that, we can
14 break till 1:30 rather than 1:00.

15 Yes, Ms. Post.

16 MS. POST: Mr. Chair, that was actually what I
17 was going to suggest, because he's got his next
18 witnesses, and they're physically here, correct?

19 MR. RICH: One is, and one will be on the Zoom
20 at the same time.

21 MS. POST: Oh, okay. And the witness that I've
22 got, the substitute witness, can appear between 1:00 and
23 2:30. So if we ran and finished his, then took lunch and
24 started, you know, maybe even at 1:30, then we could get
25 her in, and she could be available at that time.

1 CHMN. KATZ: Any disagreement, Mr. Rich, with at
2 least getting started with your next witness? And we can
3 continue, if you don't finish, within the hour after
4 lunch. And Ms. Post could get in touch with her witness.
5 We could start at either 1:30, 2:00, or whatever might
6 work out.

7 MR. RICH: Yeah. I'm supportive of moving
8 forward with our witnesses and getting them done quick.

9 CHMN. KATZ: Be happy to do that.

10 MR. RICH: Great.

11 So I'll call -- Sandy Bahr will be here in
12 person at the witness stand, and then Cara Bottorff will
13 be joining us on the Zoom.

14 Cara, if you're listening, we're doing this on
15 the witness Zoom link.

16 CHMN. KATZ: We're doing this as a panel?

17 MR. RICH: Yes.

18 Let's test really quick. Cara, are you able to
19 hear us, and can you say something really quick to make
20 sure the audio is working?

21 MS. BOTTORFF: Sure. Can you hear me?

22 MR. RICH: We do.

23 CHMN. KATZ: And before we begin, I'll need to
24 ask both of our witnesses whether you prefer an oath or
25 affirmation. And you don't have to be in unanimous

1 agreement either.

2 MS. BAHR: Affirmation, please.

3 CHMN. KATZ: And what would you like,

4 Ms. Bottorff?

5 MS. BOTTORFF: Affirmation works for me as well.

6 (Sandy Bahr and Cara Bottorff were duly
7 affirmed, en masse, by the Chairman.)

8 CHMN. KATZ: Thank you very much, and you may
9 begin, Mr. Rich.

10 MR. RICH: Thank you.

11

12 SANDY BAHR AND CARA BOTTORFF,
13 called as witnesses as a panel on behalf of Sierra Club,
14 having been previously affirmed by the Chairman to speak
15 the truth and nothing but the truth, were examined and
16 testified as follows:

17

18 DIRECT EXAMINATION

19 BY MR. RICH:

20 Q. We'll start by identifying both of the witnesses
21 and take you one at the same time in testimony here.

22 Ms. Bahr, let's start with you. Can you just
23 state your name, place of work, and business address for
24 the record.

25 A. (Ms. Bahr) Sure.

1 Sandy Bahr. I'm chapter director for Sierra
2 Club's Grand Canyon Chapter. That's the Arizona chapter.
3 And my office address is 514 West Roosevelt Street,
4 Phoenix, Arizona.

5 Q. And, Ms. Bottorff, can you -- and please correct
6 me if I mispronounce your last name -- please state your
7 name for the record and give us your place of employment
8 and your address, please.

9 A. (Ms. Bottorff) You got it. I'm Cara Bottorff.

10 [Inaudible]

13 Q. MR. RICH: Let me just interrupt you really
14 quick. Our court reporter said it was a little muddled
15 because it was a little quick. So if you wouldn't
16 mind -- and then we'll go back to Sandy and you can have
17 a moment to slow down. But if you could repeat that
18 slower. Thank you.

19 A. (Ms. Bottorff) Sure.

20 Cara Bottorff. I'm a senior electric sector
21 analyst at Sierra Club. My work address is 50 F Street
22 N.W., Suite 4, Washington, D.C.

23 Q. Thank you. That was perfect.

24 Ms. Bahr, I'd like you to give us a little bit
25 of your background educationally and professionally.

1 A. (Ms. Bahr) Sure.

2 I have an associate's in applied science and
3 civil engineering, a bachelor's in environmental studies,
4 and a master's in legal studies.

5 Prior to working with Sierra Club, I was the
6 executive director of a land trust, did contract work
7 with a variety of nonprofits, and worked for a small
8 engineering and land surveying firm.

9 I've worked in my current position with the
10 Sierra Club for 24 years, and my responsibilities include
11 reviewing and commenting on a wide range of proposals
12 from government and private entities; participating and
13 helping to lead coalitions on climate action and other
14 issues; grassroots organizing; research; advocating for
15 environmental protection at the Arizona Legislature, the
16 Arizona Corporation Commission, and at both state and
17 federal agencies; and also developing plans around our
18 priority projects as well as managing staff among other
19 activities.

20 Q. Thank you.

21 And what is the focus of your testimony today?

22 A. (Ms. Bahr) The focus of my testimony today is
23 on the environmental impacts of the Coolidge gas project,
24 including impacts relative to climate, air quality,
25 public health, and water.

1 Q. And how did you become aware of the Coolidge
2 Expansion Project?

3 A. (Ms. Bahr) I first became aware of this issue
4 because I was participating in meetings over the summer
5 of 2021. And they were focused on Salt River Project's
6 integrated system planning. And at what was scheduled to
7 be the last meeting of the summer, SRP announced that
8 there would be an additional special meeting to look at
9 near-term needs. And it was at that special additional
10 meeting that SRP added that I became aware of the
11 proposal.

12 At no time earlier in the summer did SRP mention
13 this expansion nor did they mention it when they
14 announced the addition of gas at the Desert Basin and
15 Agua Fria plants earlier in 2021.

16 Q. And since that announcement, have you had the
17 chance to go to other meetings related to the CEP
18 project?

19 A. (Ms. Bahr) Yes, I have. I attended the --
20 again, that supplemental meeting on near-term planning,
21 part 2 resource decisions and SRP's near-term planning on
22 August 3rd, 2021; the Salt River Project board meeting on
23 September 13th, 2021; and also an SRP-hosted open house
24 on the proposed expansion in Coolidge on December 29th,
25 2021. I have also observed some of this proceeding and

1 was on the line for the public comment evening for this
2 proceeding.

3 Q. And can you summarize Sierra Club's position in
4 this case.

5 A. (Ms. Bahr) Yes.

6 Sierra Club is very much opposed to this power
7 plant siting and the granting of the Certificate of
8 Environmental Compatibility due to the impact that it
9 will have on the total environmental. We also do not
10 think this expansion is in the public interest, and we
11 believe that there are cleaner and cheaper alternatives
12 to this proposed project that SRP could pursue.

13 Q. And can you tell us and summarize for the
14 Committee what your specific concerns are about the
15 facility and how it will affect the environment and
16 public health.

17 A. (Ms. Bahr) Sure.

18 First, I will say that there is no greater
19 challenge to the planet and the climate of the Southwest
20 than the warming of the planet and the disruption
21 associated with it.

22 Each Intergovernmental Panel on Climate Change
23 report emphasizes the need for action. The most recent
24 IPCC report indicates that the planet is changing more
25 quickly than had been previously predicted, and it points

1 to increases in extreme temperatures, drought, and
2 flooding. And the information from that is in Sierra
3 Club Exhibit 23, Climate Change 2021: The Physical
4 Science Basis: Summary for Policymakers.

5 Here in Arizona, we are seeing firsthand the
6 impacts of the climate crisis with more extreme heat and
7 drought and larger wildfires according to the National
8 Climate Assessment. And the chapter on the U.S.
9 Southwest was submitted as Sierra Club Exhibit 24. And,
10 of course, for those of us who live here, we have
11 experienced these impacts firsthand.

12 With the changing climate also comes increased
13 health risk as well, including heat-related deaths and
14 illnesses and more vulnerability to chronic diseases.
15 And I just wanted to point out just yesterday, there was
16 an announcement about the megadrought and how it's the
17 worst in 1,200 years. And about 42 percent of that is
18 attributable to climate change. So a very concerning
19 issue.

20 Also, Pinal County is among the counties in the
21 U.S. at greatest risk relative to climate change when you
22 look at the cumulative risks for heat, crop yield,
23 economic damage, and other factors. And that's according
24 to a climate map published by ProPublica in September
25 2020. And this was submitted as Sierra Club Exhibit 25.

1 And the title is New Climate Maps Show a Transformed
2 United States. And the specific information on Pinal
3 County is on page 11.

4 These climate impacts to our region, our state,
5 and Pinal County are why it is essential that we move
6 from burning fossil fuels for electricity generation and
7 do so as quickly as possible.

8 While the carbon footprint for gas is not as
9 intense as coal, and we can concede that, it is still
10 quite intense, especially if, in addition to the burning
11 of the fuel, the emissions from extraction,
12 transportation, and storage are included.

13 Gas plants emit greenhouse gases, primarily
14 carbon, directly into the air when they're burning the
15 fuel. Extracting, processing, and transporting the gas
16 to the power plant also has a climate impact and can
17 include leaks of methane. And it can be as much as 4
18 percent if fracked gas is lost in leakage. And that
19 information is included in Sierra Club Exhibit 22, The
20 False Promise of Natural Gas.

21 Methane is a potent greenhouse gas, about 30
22 times as potent global warming potential over a 100-year
23 period as carbon dioxide. When including the extracting,
24 processing, and transporting portions of the process, it
25 greatly increases the climate warming emissions

1 associated with a gas plant. SRP did not calculate those
2 upstream emissions for its CEC application.

3 According to the global methane assessment
4 released last year by the Climate and Clean Air Coalition
5 and the United Nations Environment Program, human-caused
6 methane emissions can be reduced up to 45 percent this
7 decade. And that can help us avoid about .3 degrees C
8 of global warming by 2045 and would be consistent with
9 the provisions in the Paris Climate Agreement goal to
10 limit global temperature rise to 1.5 degrees Celsius. So
11 makes that more within that reach.

12 Q. If you've been following the hearing, you
13 probably heard, and earlier today it came up, there's
14 been discussion about the relative impact of mining
15 materials for solar and storage and then assembling those
16 plants versus the relative impacts of mining gas and then
17 burning it for fuel.

18 Do you have any information or data to help us
19 compare and understand the relative impacts of those two?

20 A. (Ms. Bahr) Yeah. It's many times more harmful
21 to burn fossil fuels than to use solar plus batteries
22 when you look at the life cycle impacts.

23 The global warming potential for gas is more
24 than 4 times that of renewables plus storage. And
25 according to the National Renewable Energy Lab, gas life

1 cycle emissions are about 6 times that for solar
2 photovoltaic plus battery storage.

3 I will also add that everyone agrees that we
4 need to do more to reduce the impacts of mining. And
5 along those lines, I know there are increasing numbers of
6 battery recyclers ramping up as well. And those can
7 obviously help to reduce the impacts.

8 Q. So this plant will emit -- has emissions beyond
9 just greenhouse gas emissions. Can you talk about what
10 other emissions come from the plant.

11 A. (Ms. Bahr) Yes. So even if you're not moved
12 by the impact of the earth's climate caused by greenhouse
13 gas emissions, gas plants such as the proposed Coolidge
14 Expansion Project release other emissions that are
15 harmful to our health. They include sulfur dioxide,
16 nitrogen oxide, and particulate matter, all of which can
17 irritate and harm our lungs, putting children, the
18 elderly, and people with respiratory issues particularly
19 at risk.

20 Poor air quality has long been an issue for many
21 communities in Arizona -- I live in one in Phoenix -- but
22 including here in Pinal County and specifically Western
23 Pinal County. The area for this proposed plant expansion
24 is within the West Pinal PM10 nonattainment area. I know
25 others have addressed that, but --

1 Q. Let me actually just stop you, if I could, just
2 for a second.

3 MR. RICH: Could we have Sierra Club Exhibit 20,
4 it's a map of that area, put up there on the screen.

5 Great. Thank you.

6 Q. BY MR. RICH: And maybe, Ms. Bahr, you can
7 explain this map briefly, too, and then -- I'm sorry you
8 cut you off, but can you answer the question.

9 A. (Ms. Bahr) Yes. This map shows the outline of
10 the West Pinal PM10 nonattainment area. And I guess I
11 could use this little --

12 CHMN. KATZ: Hold on just a second. I think
13 there may be an insect crawling toward you that Len is
14 going to remove.

15 MS. BAHR: I'm not really scared of insects.
16 We'll do catch and release. I do that at home, even with
17 spiders.

18 I was going to use this, but it's not ready to
19 go, so maybe I won't.

20 Anyway, you can see Coolidge, and it falls
21 squarely within the West Pinal PM10 nonattainment area.
22 Thank you.

23 Q. BY MR. RICH: For the record, I was pointing the
24 green light of the laser pointer at Coolidge on the map.

25 A. (Ms. Bahr) And this area is not just a

1 nonattainment area, but it is classified as severe for
2 PM10. So the air quality is already poor and unhealthy.

3 The plant is in close proximity to the community
4 of Randolph, a historically Black community. So, as you
5 have already heard here, there are serious environmental
6 justice concerns associated with this plant and its
7 emissions as well. Unfortunately, there is no air
8 quality monitor in Randolph.

9 In addition to the fact that this area exceeds
10 the federal health-based standards for PM10 -- and,
11 again, those standards, those National Ambient Air
12 Quality Standards, are health-based standards for PM10 --
13 the American Lung Association has given Pinal County an F
14 for both particulate matter and ozone in its 2021 State
15 of the Air Report.

16 Q. And, Ms. Bahr, let me ask you -- pause you there
17 again.

18 MR. RICH: Can we have Sierra Club Exhibit 21,
19 which is that State of the Air Report, on that projector.

20 Q. BY MR. RICH: And can you read -- Ms. Bahr, just
21 read what it says there in the middle of the page.

22 A. (Ms. Bahr) If you live in Pinal County, the air
23 you breathe may put your health at risk.

24 So one of the first things you see when you look
25 at Pinal County is that information. The grades from the

1 State of the Air Report are established by looking at the
2 number of high ozone and high particulate days,
3 respectively.

4 The report also points to the groups at risk
5 from these high pollution levels. And Pinal County, the
6 population at risk is 462,789. And of those, 203,200 are
7 people of color, again highlighting the disproportionate
8 impact of poor air quality on people of color. Children
9 are also particularly at risk in this area according to
10 the report.

11 The only other county in Arizona to receive an F
12 on the report card for both particulates and ozone is
13 Maricopa County.

14 According to the CEC application, annual
15 operation emissions will be limited to 249.5 tons of
16 VOCs, 249.5 tons of carbon monoxide, 249.5 tons of
17 nitrogen oxides, 249.5 tons of sulfur dioxide, and 69.9
18 tons of particulate matter. And that includes PM10 and
19 PM2.5.

20 So we know the plant will emit additional
21 pollutants, including PM10, that the area is serious for
22 PM10, and that the American Lung Association gives Pinal
23 County an F relative to particulates.

24 Plant expansion will contribute to the poor air
25 quality with the emissions of the additional 69.9 tons of

1 particulate matter. And just to kind of emphasize that a
2 little bit more, coarse particulate matter, that's the
3 2.5 to 10 microns in diameter, contributes to asthma and
4 other lung ailments and, again, is particularly a risk
5 for children and the elderly.

6 And the fine particulate matter, that is what
7 comes primarily from combustion, is even more of a public
8 health threat as, unlike coarse particulates, we have
9 trouble coughing or sneezing these smaller particles out.
10 They get trapped in our lungs and can pass into our
11 bloodstream. Exposure to fine particulates results in
12 decreased lung function, more hospital visits, increased
13 asthma and heart attacks, and increased numbers of
14 deaths. Exposure to fine particulate matter can also
15 contribute to emphysema and lung cancer.

16 Q. Thank you for that answer.

17 This plant also uses water. Do you have any
18 concerns about that?

19 A. (Ms. Bahr) Yes. I'm concerned about the
20 plant's reliance on groundwater. And while SRP indicates
21 it won't be pumping groundwater, it will, in reality,
22 still be pumping groundwater as the Central Arizona
23 Project water it has stored is not stored in the area
24 beneath the plant. So this expansion will increase
25 groundwater pumping in this area and in a county that's

1 already suffering from groundwater depletion.

2 The Arizona Department of Water Resources
3 modeling has found that there's a significant shortfall
4 of groundwater to meet demand in the Pinal Active
5 Management Area, a shortfall of more than 8 million
6 acre-feet with 100 years of pumping. And that
7 information can be found in Sierra Club Exhibit 26, The
8 Myth of Safe Yield, on page 27. And that's why the
9 Department of Water Resources is no longer allowing
10 subdivisions that rely on groundwater to be approved in
11 the area.

12 While the total amount of water this expansion
13 will use is 250 acre-feet per year and smaller compared
14 to agriculture and large development, it is not
15 insignificant when considering impacts in a
16 water-constrained area. That water will come from two
17 wells on the property. SRP will utilize those long-term
18 storage credits for the water, but that does not change
19 the fact that they will still be pumping right there on
20 the property and not where the water associated with the
21 storage credits was stored.

22 The water usage is also entirely unnecessary
23 because the plant can easily be replaced by generating
24 sources that don't use much water at all.

25 Q. Are there any other concerns about the plant

1 that you want to share?

2 A. (Ms. Bahr) Yes.

3 I wanted to point out the significant light
4 pollution from the existing plant, which will be
5 increased with the expansion.

6 I visited the plant area at night on December
7 9th, 2021, and saw how much it lights up the sky. We
8 know that light pollution has a number of impacts,
9 including on animals. It can disrupt their migratory
10 patterns, particularly nocturnal animals, and it also can
11 affect our own sleep patterns. So if you're someone who
12 lives in the area, your sleep patterns could be affected
13 by this as well.

14 And this is something that SRP should have
15 addressed in the Certificate of Environmental
16 Compatibility as it is part of the total environmental
17 impacts of the plant expansion.

18 Q. Thank you.

19 Is there anything else you want to add before we
20 switch over to the other witness?

21 A. (Ms. Bahr) Yeah. Just, in summary, I think
22 it's increasingly clear that gas plants such as the
23 Coolidge Expansion Project can no longer be considered a
24 bridge relative to the climate impacts. While the carbon
25 emissions associated with them is less than coal, the

1 emissions are considerable, especially when you consider
2 the potential for upstream leakage of methane.

3 I also think that locating this plant expansion
4 in this area makes it an inappropriate bridge as it will
5 contribute air pollution to the part of the state that
6 already has unhealthy air serious for PM10, and it's
7 located in close proximity to the community of Randolph,
8 a community that has already experienced considerable
9 environmental injustice.

10 I urge the Committee to reject the Certificate
11 of Environmental Compatibility as the impact to the total
12 environment is unacceptable and, as others have
13 addressed, cleaner alternatives exist.

14 Q. Thank you.

15 Ms. Bottorff, let's go to you. And I know I
16 just said it wrong, probably. I apologize.

17 Let me have you tell us a little bit more about
18 your professional background and educational history.

19 A. (Ms. Bottorff) Sure. Let me know if I'm going
20 too fast again. I'm happy to slow down.

21 (Interruption by court reporter for audio
22 difficulty.)

23 Q. BY MR. RICH: Let's go back. I think I had
24 asked you to summarize your education and professional
25 background.

1 A. (Ms. Bottorff) Sure. And so let me know if
2 this isn't working. We'll figure it out.

3 So I'm a senior analyst at Sierra Club working
4 mainly on gas issues. I work within several Sierra Club
5 campaigns which aim to transition the United States to
6 100 percent clean energy.

7 I support Beyond Coal's efforts to avoid any new
8 power plants, with the priority for avoiding those in the
9 most impacted communities.

10 We look to replace these resources with clean
11 energy resources instead. I've worked on electric sector
12 and gas development this year, primarily with a focus on
13 the climate, environmental inequity impacts of gas
14 generation resources, pipelines, and associated
15 infrastructure.

16 Prior to working at Sierra Club, I worked for
17 Key-Log Economics, which is an ecological economic
18 consulting firm. And there I worked a lot on economic
19 analyses for gas pipeline development and submitting
20 comments to the Federal Energy Regulatory Commission.

21 I have a master's degree in public policy and
22 leadership from the University of Virginia, and my full
23 resume is available as Exhibit 31.

24 Q. Have you ever testified before this Committee
25 before?

1 A. (Ms. Bottorff) I have not.

2 Q. Have you ever testified before a different
3 Committee?

4 A. (Ms. Bottorff) Yes. I've provided prefilled
5 testimony in a docket related to the health impact of gas
6 plants in California.

7 Q. And what are your main recommendations in this
8 testimony?

9 A. (Ms. Bottorff) My testimony considers the cost
10 of the negative health impacts the planned Coolidge
11 Expansion would have. The Commission should deny gas
12 infrastructure where there is a viable alternative and
13 negative health impacts.

14 Other testimony speaks to the viable
15 alternative. My testimony demonstrates the significant
16 cost of the negative health impacts to help the community
17 balance its decision.

18 Q. And are you generally familiar with gas power
19 plants and the related health issues that they cause?

20 A. (Ms. Bottorff) Yes. Through my work at Sierra
21 Club, very involved in issues related to gas power
22 plants. I track the characteristics of all the planned
23 new gas capacity proposals in the United States and
24 conduct alternatives analyses to demonstrate where clean
25 energy options can provide the same services as planned

1 gas plants at a lower cost.

2 I also work closely with other environmental
3 organizations to analyze the impact of electric sector
4 policies and regulatory frameworks to reduce air
5 pollution and deploy clean renewable energy.

6 I'm familiar with the literature and analyses on
7 health impacts of burning gas in power plants.

8 In my field it's very commonly accepted to use
9 tools such as EPA's CO-Benefits Risk Assessment Tool,
10 which from here on out I'll just call COBRA, to estimate
11 health impacts of changes to emissions from the electric
12 power sector or changes to specific plants within that
13 sector.

14 Q. And what's the purpose of your testimony?

15 A. (Ms. Bottorff) In this testimony, I'm going to
16 outline the potential public health impacts of the
17 proposed Coolidge gas-fired power plant expansion as
18 estimated by the COBRA tool. I highlight the economic
19 cost of those impacts to the state of Arizona as well as
20 to other communities across the country where the
21 pollution from this plant would travel.

22 Q. Can you tell the Committee a little bit more
23 about the COBRA tool.

24 A. (Ms. Bottorff) Yes. COBRA is an EPA tool that
25 estimates both health and health-related economic impacts

1 of changes in pollutant emissions for a given geography.
2 COBRA quantifies human health impacts from reductions in
3 a few air pollutants. Those are PM2.5, sulfur dioxide,
4 nitrogen oxide, ammonia, and VOCs. COBRA uses a reduced
5 form air quality model they call the source receptor
6 matrix to estimate the effects of emissions changes to
7 ambient PM. Using this approach to estimating avoided
8 health impacts and monetized benefits, it's generally
9 consistent with EPA practice used in other parts of
10 modeling. The model translates the ambient PM changes
11 into human health effects and then monetizes them.

12 Q. And why is COBRA an appropriate tool to look at
13 when analyzing this project?

14 A. (Ms. Bottorff) COBRA has been used for a
15 similar analyses many, many times in the past.

16 For a list of examples where COBRA has been
17 used, you can look at Exhibit 29, which is an EPA list of
18 publications that cite to COBRA. You'll see it's dozens
19 of pages long. And many of the studies that are included
20 there are looking specifically at changes to power plant
21 emissions, similar to what was done in this analysis that
22 we'll talk about today.

23 For a specific example, if you want to looking
24 at that long list, there are two reports in there from
25 PSE Healthy Energy. These are on page 16 of Exhibit 29.

1 And those both use COBRA to estimate the health impacts
2 from coal and gas power plants in Ohio and Pennsylvania.
3 That's just one example. There others that are included
4 in that list as well.

5 Q. A few days ago, I asked an SRP witness if they
6 had modeled any health impacts from the pollution from
7 this expansion. SRP let us know that it did not do any
8 health impact modeling, and the witness seemed unfamiliar
9 with the concept.

10 Is the COBRA model that you're talking about, is
11 that health impact modeling?

12 A. (Ms. Bottorff) Yes. COBRA is a free and public
13 EPA tool that models human health and health-related
14 economic impacts of changes in pollutant emissions.

15 Q. In your opinion, why is it important to do this
16 type of modeling?

17 A. (Ms. Bottorff) Air modeling that looks at
18 dispersion or levels of pollution, which is sort of the
19 base air modeling that's often done, doesn't necessarily
20 tell the full story of what the air pollution actually
21 means.

22 In order to understand the magnitude and effects
23 of air pollution coming from this proposed plant, we need
24 to connect that to the impact on people living both near
25 and far from the plant who would be subject to that

1 pollution. COBRA offers us a tool to estimate the
2 negative health impacts of that pollution, connecting the
3 air science of emissions to the actual on people on the
4 ground.

5 Q. What were the inputs into the COBRA model that
6 you used to analyze the CEP?

7 A. (Ms. Bottorff) Yeah. So there's a few key
8 inputs.

9 For this analysis, we modeled avoided criteria
10 pollutants that were found in the air permit. So the air
11 permit provides sulfur dioxide, nitrogen oxide, PM2.5,
12 and VOCs. We modeled all of those.

13 You also have to input stack height. So we
14 based the stack height also off of the reported stack
15 heights in the air permit.

16 COBRA requires users to specify an analysis
17 year. So that's going to be what year you're actually
18 looking look at this change. We used an analysis year of
19 2023 since it's the closest of the selectable years in
20 COBRA. You can pick 2016, 2023, or 2028 with using their
21 baseline data. And that was the closest, 2023, to the
22 likely online date for this plant.

23 We employed the advance scenario capabilities of
24 the COBRA tool for the year 2023 to model the scenario
25 that included the proposed gas plant solutions as a

1 baseline, and then we modeled the control scenario that
2 removed those pollutions, those emissions. And so that
3 assumes if you do actually need to add more generation
4 here, you can instead used clean energy alternatives, and
5 those would contribute no emissions. So that's the
6 control scenario compared to the baseline in which we
7 said this proposed plant is built and pollutes as much as
8 it's air permit says that it will.

9 Lastly, COBRA gives you the option to select
10 between two discount rates, 3 percent and 7 percent. We
11 used the 3 percent discount rate, which is the typical
12 discount rate that's used by looking at health effects
13 over time.

14 MR. RICH: I'm going to ask you if we could pull
15 up Sierra Club Exhibit 28 on the screen for this next
16 question. We'll give it a second while they bring it
17 up.

18 Great.

19 Q. BY MR. RICH: We have on the screen in front of
20 us Sierra Club Exhibit 28, and we'll get into that.

21 But I wanted to ask you, what are the impacts of
22 the Coolidge Expansion Project based on your COBRA
23 modeling.

24 A. (Ms. Bottorff) So what the COBRA model tells us
25 is that the Coolidge Expansion would lead to total health

1 costs of between 9 1/2 million and 21 1/2 million in a
2 single year. The bulk of these costs, about
3 three-quarters, or between 7 million and about 16
4 million, would be borne by those living in Arizona.

5 Q. And can we estimate also, in addition to the
6 yearly impact, the impact over the life of the project?

7 A. (Ms. Bottorff) We can.

8 So if we assume the plant operates for 20 years,
9 the net present value of the total health costs is
10 between nearly 137 million and almost 309 million.
11 Again, the bulk of these costs, about three-quarters or
12 between 100 million or 227 million, would be borne by
13 those living in Arizona. And, again, the full outputs
14 are available in the exhibit that you have up here.

15 Q. Okay. Just for the clarity of the record, this
16 exhibit includes those numbers that you referenced and
17 additional detail about the output of the COBRA model; is
18 that correct?

19 A. (Ms. Bottorff) Yes.

20 Q. So you're calculating health costs, I think you
21 said. What is a health cost?

22 A. (Ms. Bottorff) Health impacts that are
23 monetized by COBRA, what you see in this table with
24 dollar signs next to them, represent the sum of the
25 values of several categories of impacts to folks who are

1 exposed to the pollution from this plant. Those include
2 avoided premature mortalities; avoided illnesses of
3 various kinds, for instance, heart attacks; and avoided
4 lost work days and lost minor restricted activity days,
5 is what COBRA calls it. What that means is beyond which
6 activity is reduced but not severely restricted.

7 And this table, if you look at the full table,
8 it shows you all of the different health costs that are
9 going into these top line numbers.

10 Q. So in previous testimony, we heard about other
11 sources of air pollution in the area. Essentially, we've
12 heard that Pinal County has a pollution problem.

13 Why does the additional pollution from this
14 expansion project matter when there's already other
15 pollution in the area?

16 A. (Ms. Bottorff) The COBRA model that we used
17 here includes baseline emissions from existing sources in
18 its modeling. That means that the results reported here
19 are additional. They're additive to the impacts that are
20 already occurring in the area due to other emission
21 sources.

22 So if the baseline there is not ideal, it's
23 already not great, that shouldn't necessarily green light
24 additional harm in the area, which was modeled here to be
25 to the tune of hundreds of millions of dollars in health

1 costs over the lifetime of the plant.

2 Q. So how should we interpret the results of the
3 COBRA model in this case?

4 A. (Ms. Bottorff) So COBRA is best used as a
5 screening tool, followed by additional comprehensive
6 health impact assessment.

7 SRP has performed air quality modeling, as we
8 know, to see if they would be compliant with NAAQS. But
9 they haven't performed a health impact assessment based
10 on that air quality modeling such as this.

11 While there are limitations to COBRA, peer
12 reviewers have found that COBRA is a valuable model
13 useful for policy analysis and public dialogue such as
14 what we're doing here today. COBRA provides with a high
15 and low estimate of benefits, which I was citing there,
16 which gives a really broad range of what these impacts
17 could look like. So if you're worried about the
18 exactness of the results, there's a lot of variation
19 there that allows us to deal with uncertainty.

20 COBRA excludes benefits beyond particulate
21 matter-related ones and may be conservative in that
22 respect. This means this is not an attempt to quantify
23 damage from climate change and is only focused on direct
24 impacts of the particulates from the plant on human
25 health.

1 This estimate also only considers emissions at
2 the power plant, not upstream as a result of extracting,
3 processing, and transporting the gas that would be used
4 in this power plant. There are additional emissions
5 upstream that cause negative health impacts that are not
6 considered here, again, making this a likely conservative
7 estimate. These results should be used as an estimate
8 and to demonstrate the need for consideration of the
9 health costs associated with building this Coolidge
10 Expansion.

11 My testimony relates to the cost of the health
12 impacts, which are significant, as demonstrated here, in
13 the hundreds of millions of dollars over the lifetime of
14 the plant.

15 A comparable portfolio of clean energy resources
16 would emit no pollution at the sited power generation and
17 would avoid these health impacts and associated costs.

18 The Commission should deny gas infrastructure
19 where there is a viable alternative and negative health
20 impacts of the gas power plant.

21 Q. Does that conclude your testimony?

22 A. (Ms. Bottorff) It does.

23 Q. Thank you.

24 MR. RICH: Mr. Chairman, I'll make the witnesses
25 available for cross-examination.

1 CHMN. KATZ: I just had one question.
2 You gave the figure of 9.5 million to 21
3 million. Is that for the United States as opposed to
4 Arizona? Because you gave a second figure for Arizona.

5 MS. BOTTORFF: Yes. So COBRA reports on
6 different geographies. So the total is for the U.S., and
7 then the secondary number zooms down to Arizona.

8 CHMN. KATZ: And I got the secondary number was
9 what, 7 million to how many million?

10 MS. BOTTORFF: 7 million to nearly 16.

11 CHMN. KATZ: 16, did you say?

12 MS. BOTTORFF: Uh-huh.

13 CHMN. KATZ: Let me ask you this. We can go for
14 about another 10 to 15 minutes. We can at least get
15 started with cross, or we can take the break. What do
16 you think? Do you want to get started?

17 MR. ACKEN: Mr. Chairman, I suggest we plow
18 forward. I don't think I'll be done with
19 cross-examination.

20 CHMN. KATZ: That's fine. Why don't you go for
21 another 10 or 15 minutes. At a convenient spot, we'll
22 break for lunch and then resume about an hour later.

23 MR. ACKEN: Very good.

24

25

1 CROSS-EXAMINATION

2 BY MR. ACKEN:

3 Q. Good afternoon to you both.

4 Is it Ms. Bottorff?

5 A. (Ms. Bottorff) Bottorff, yes.

6 Q. My name is Bert Acken. I'm counsel for Salt
7 River Project.

8 Ms. Bahr, it's always a pleasure to see you.

9 Good afternoon to you.

10 A. (Ms. Bahr) Good afternoon.

11 Q. So I'm going to start with you, Ms. Bahr. You
12 have previously testified before this Committee, correct?

13 A. (Ms. Bahr) Yes, once.

14 Q. And in that case, did you testify before the
15 Siting Committee that you could support a project using
16 groundwater because it was taking land out of
17 agricultural production?18 A. (Ms. Bahr) I'm trying to remember. I didn't
19 testify in a project -- the only project where I
20 testified was a transmission line.21 Q. Perhaps -- did Sierra Club intervene in a
22 concentrated solar project in Gila Bend?

23 A. (Ms. Bahr) No.

24 Q. Okay. You testified that this project is not
25 actually using stored water.

1 Do you know where SRP is storing the CAP water
2 that it is using for this project?

3 A. (Ms. Bahr) I don't know -- I don't know where
4 they're storing that water.

5 Q. So what is your basis for saying that they're
6 not using it?

7 A. (Ms. Bahr) I -- when I read the CEC, it said
8 we were continuing to pump from right at the facility and
9 that the stored water was going to an irrigation
10 district.

11 Q. And you referred to the CEC. You're referring
12 to the CEC application; is that correct?

13 A. (Ms. Bahr) Correct.

14 Q. And that irrigation is the Hohokam Irrigation
15 and Drainage District?

16 A. (Ms. Bahr) Yes.

17 Q. And do you know the boundaries of the Hohokam
18 Irrigation and Drainage District?

19 A. (Ms. Bahr) No.

20 Q. So you do not know whether the boundaries of
21 that district includes this project?

22 A. (Ms. Bahr) That's correct.

23 MR. ACKEN: I'd like to show what's been marked
24 now as SRP No. 6. Thank you.

25 Q. BY MR. ACKEN: Can you see that on the screen to
COASH & COASH, INC.
www.coashandcoash.com

602-258-1440
Phoenix, AZ

1 your right or on the screen in front of you?

2 A. (Ms. Bahr) Are you still talking to me?

3 Q. I am.

4 A. (Ms. Bahr) Yeah, I can see it.

5 Q. I suspect you -- have you seen this before?

6 A. (Ms. Bahr) I just saw it yesterday.

7 Q. Have you had a chance to review it?

8 A. (Ms. Bahr) No, I have not. I glanced at it,
9 but I haven't had a chance to review it carefully.

10 Q. I'd like to give you that opportunity to review
11 it right now.

12 A. (Ms. Bahr) I've read the document.

13 Q. And do you have any objection to the concept of
14 a community working group for the Randolph community?

15 A. (Ms. Bahr) I have no opposition to it.

16 Obviously, it would be up to the Randolph community.

17 Q. Thank you for that.

18 Next I want to switch to your testimony
19 regarding air quality. You testified that the
20 nonattainment area has been classified as "severe," and
21 you later said "serious." Which is it?

22 A. (Ms. Bahr) Serious nonattainment area, so I
23 misspoke.

24 Q. And you understand there is no severe
25 designation for PM10?

1 A. (Ms. Bahr) I do, yes.

2 Q. While I'm on that topic, do you know -- do you
3 understand the difference between a hazardous air
4 pollutant and a criteria air pollutant?

5 A. (Ms. Bahr) I do, yeah. There are different
6 standards for hazardous air pollutants than for criteria
7 pollutants. For the criteria pollutants, they
8 established National Ambient Air Quality Standards.

9 Q. And do you know if EPA defines PM10 as a
10 hazardous air pollutant or a criteria air pollutant?

11 A. (Ms. Bahr) It defines it as a criteria
12 pollutant.

13 Q. And same question for PM5.

14 A. (Ms. Bahr) It's a criteria pollutant.

15 Q. And do you know whether there is an annual PM10
16 standard in effect at this time?

17 A. (Ms. Bahr) For?

18 Q. NAAQS standard.

19 A. (Ms. Bahr) Oh, National Ambient Air Quality
20 Standards.

21 Q. Yes.

22 A. (Ms. Bahr) Yes, there is.

23 Q. For PM10. So it's your testimony that there is
24 an annual standard?

25 A. (Ms. Bahr) Oh, an annual standard currently in
COASH & COASH, INC.
www.coashandcoash.com

602-258-1440
Phoenix, AZ

1 effect?

2 Q. And you may not know. I'm really not trying
3 to --

4 A. (Ms. Bahr) I'm not sure on that.

5 Q. I'm not trying to trick you. There was
6 testimony yesterday from another witness, and I thought
7 perhaps you could help us clarify. But if you don't know
8 the answer, that's fine.

9 Have you reviewed SRP's air quality permit
10 application?

11 A. (Ms. Bahr) I've read it.

12 Q. And have you reviewed SRP's dispersion model?

13 A. (Ms. Bahr) I have not looked at the dispersion
14 modeling.

15 Q. Do you understand that SRP has conducted
16 dispersion modeling for its air quality permit
17 application?

18 A. (Ms. Bahr) Yes, I do.

19 Q. And do you understand the modeling assumes
20 maximum emissions from the facility?

21 A. (Ms. Bahr) Yes.

22 Q. And do you understand that EPA establishes the
23 National Ambient Air Quality Standards to be protective
24 of human health and the environment with an adequate
25 margin of safety?

1 A. (Ms. Bahr) I understand that they try to do
2 that, yes.

3 Q. And that is EPA's charge, correct?

4 A. (Ms. Bahr) Yes.

5 Q. And EPA's decision-making goes through a
6 rulemaking process when it establish standards?

7 A. (Ms. Bahr) Yes.

8 Q. And Sierra Club knows how to participate in air
9 quality permit proceedings, does it not?

10 A. (Ms. Bahr) Yes.

11 Q. You also provided some testimony regarding -- or
12 extensive testimony regarding climate change. Do you
13 understand that SRP has provided testimony in this
14 proceeding that this project will enable it to integrate
15 additional renewable energy?

16 A. (Ms. Bahr) Yes, I heard that testimony.

17 Q. Do you have any basis to dispute SRP's testimony
18 on that point?

19 A. (Ms. Bahr) No.

20 MR. ACKEN: I'd like to show Slide 10 from SRP
21 No. 2.

22 Slide 110. See if I got my numbering correct.

23 Q. BY MR. ACKEN: Ms. Bahr, do you have in front of
24 you on either the screen to the right or the screen in
25 front of you the exhibit or the PowerPoint slide numbered

1 110 that has been part of what has been marked for
2 identification as SRP Exhibit 2?

3 A. (Ms. Bahr) Yes.

4 Q. And do you see that it provides projected annual
5 carbon emissions in 2035 and 2050 under two different
6 scenarios?

7 A. (Ms. Bahr) Yes.

8 Q. And you see that the one scenario shown in blue
9 is with the Coolidge Expansion Project?

10 A. (Ms. Bahr) Yes.

11 Q. And the alternative without the Coolidge
12 Expansion Project is shown in yellow?

13 A. (Ms. Bahr) Yes.

14 Q. And previously, a WRA witness testified his
15 understanding of the emission reduction from SRP's 2005
16 baseline to 2035 on a mass basis is nearly 75 percent.
17 Do you have any basis to disagree with his conclusions?

18 MR. RICH: Objection. I think that
19 mischaracterizes the testimony from WRA's witness.

20 MR. ACKEN: I don't think it does, but please
21 elaborate why you think it does.

22 MR. STAFFORD: I believe he testified that for
23 the two options, they were approximately a 72, 73 percent
24 reduction in mass from the 2005 levels based on the
25 numbers provided in this slide. He didn't -- the math he

1 did only related to the difference between what their
2 baseline was and the mass projected here. He did not
3 verify the calculations of what this mass figure would
4 be.

5 Q. BY MR. ACKEN: With that clarification, do you
6 have any reason to dispute his conclusion that it was a
7 mass-based reduction of let's say 72 percent?

8 A. (Ms. Bahr) Yeah, I looked at the conclusions,
9 but I would have no reason to dispute it.

10 Q. Thank you, Ms. Bahr.

11 MR. ACKEN: Mr. Chairman, this might be a good
12 stopping point before we talk about COBRA.

13 CHMN. KATZ: That's fine. We're at right now
14 about 12:32 and 12:33. And my phone says 12:30. So we
15 can break now and come back and get started again at
16 1:30. And I'd ask the parties to confer with another one
17 to make sure that we can coordinate any remaining
18 witnesses for this afternoon.

19 We do stand in recess.

20 (A recess was taken from 12:31 p.m. to 1:31
21 p.m.)

22 CHMN. KATZ: I think our in-person witnesses are
23 ready and here, so please -- Mr. Acken, please feel free
24 to continue.

25 MR. ACKEN: Thank you, Mr. Chairman.

1 Q. BY MR. ACKEN: Good afternoon again
2 Ms. Bottorff. I'm probably butchering that every time,
3 so I apologize.

4 A. (Ms. Bottorff) Bottorff is right.

5 Q. As I mentioned earlier, I want to talk to you
6 about the COBRA modeling info, as you would suspect.

7 I heard you refer to it as a reduced form model.
8 What does that mean?

9 A. (Ms. Bottorff) Sure.

10 So reduced form model is what they call their
11 air modeling matrix that they're using. Essentially,
12 when they say "reduced form," it just means that it's a
13 simplified model so that they can put it into this free,
14 publicly available tool. It's not going to be as
15 complicated as some of the complex air dispersion
16 modeling that would be done for a more comprehensive air
17 modeling.

18 Q. And I believe you testified that this COBRA
19 model has limitations as a result; is that correct?

20 A. (Ms. Bottorff) Yep. As I stated, they suggest
21 that it should really be used as a screener. And they
22 provide the caveats that it has been validated against
23 some of these more complex models. But as I'm sure you
24 know, government, EPA especially, like to be very careful
25 with what they say about their tools, so they do make the

1 point that it has limitations.

2 Q. And do you know whether it's EPA's position
3 that, quote, COBRA serves as a preliminary screening tool
4 to identify those scenarios that might benefit from
5 further evaluation with the more sophisticated air
6 quality modeling approaches that are currently available?

7 A. (Ms. Bottorff) Yes.

8 MR. RICH: Was that a -- I'm sorry. I didn't
9 catch if that was a question.

10 CHMN. KATZ: She answered it yes, so that was
11 intended to be a question.

12 Q. BY MR. ACKEN: And do you know whether EPA's
13 user manual for COBRA states it should be treated as a
14 screening tool that provides a crude estimate of the
15 likely impact of a change in emissions on ambient PM2.5
16 levels?

17 A. (Ms. Bottorff) Yes. They use the word "crude,"
18 and I make the point that it does have limitations.

19 (Interruption by court reporter for audio
20 difficulty.)

21 CHMN. KATZ: Let's go off the record and make
22 sure that we can proceed without difficulty.

23 (A recess was taken from 1:34 p.m. to 1:37 p.m.)

24 Q. BY MR. ACKEN: Do you know whether EPA's user
25 manual for COBRA says that it is a screening tool that

1 provides a crude estimate of the likely impact of a
2 change in emissions on ambient PM2.5 levels?

3 A. (Ms. Bottorff) Yes. And they do use the word
4 "crude estimate" there. One of the good things about
5 COBRA is that it provides you a low and a high estimate.
6 So while it is a crude estimate, you have a very wide
7 berth for uncertainty there.

8 CHMN. KATZ: And that sounds much better, so
9 let's try that. Keep this up.

10 Go ahead, Mr. Acken.

11 Q. BY MR. ACKEN: And EPA goes on to say that more
12 sophisticated atmospheric dispersion models should be
13 used to obtain detailed estimates of ambient air quality
14 changes, correct?

15 A. (Ms. Bottorff) Correct.

16 Q. And EPA also refers to the COBRA model as a
17 quick-and-dirty assessment; is that correct?

18 A. (Ms. Bottorff) I don't remember that wording
19 specifically.

20 Q. On Exhibit 29, I believe it was your testimony
21 that that contains a list of studies in which the COBRA
22 model was used; is that correct?

23 A. (Ms. Bottorff) Correct.

24 Q. And you identified a few that were specific to
25 individual power plants; is that correct?

1 A. (Ms. Bottorff) Correct.

2 Q. How many studies are on that list approximately?

3 A. (Ms. Bottorff) I have not counted them before.

4 I can do a quick calculation now if you need me to.

5 Q. Please do.

6 A. (Ms. Bottorff) Probably between 150 and 200.

7 Q. And out of that 150 to 200 studies, how many
8 involve modeling emissions from a specific single power
9 plant?

10 A. (Ms. Bottorff) I have not counted that
11 specifically. This list is also not a full list of every
12 study that has ever used COBRA. It is a list that EPA
13 has maintained. There are many studies that I know are
14 not on here as well.

15 Q. And I believe you referenced two or three; is
16 that correct?

17 A. (Ms. Bottorff) Yes. I referenced two.

18 Q. And is it fair to say that quite a number of
19 those studies using COBRA regard rulemakings of a much
20 broader applicability than a single power plant; is that
21 correct?

22 A. (Ms. Bottorff) Yes.

23 Q. You mentioned stack heights. What stack height
24 did you use for your modeling?

25 A. (Ms. Bottorff) COBRA includes categorizations

1 of stack heights. So you do not put in a specific stack
2 height. You put it in a group of stack heights that they
3 include based on the stack heights listed in the air
4 permit. This fit into their low categorization.

5 Q. So if I understand correctly, COBRA does not
6 allow you to model the specific stack heights planned for
7 this project; is that correct?

8 A. (Ms. Bottorff) Correct.

9 Q. And would you agree with me that stack height
10 affects modeling results?

11 A. (Ms. Bottorff) Yes.

12 Q. Do you know whether EPA says the COBRA model
13 should be used to determine compliance with the National
14 Ambient Air Quality Standards?

15 A. (Ms. Bottorff) I don't know.

16 Q. Have you reviewed SRP's air quality permit
17 application for this project?

18 A. (Ms. Bottorff) Yes.

19 Q. And have you reviewed SRP's dispersion model
20 associated with that air quality permit application?

21 A. (Ms. Bottorff) Yes. Not every single detail of
22 it, but I have reviewed it.

23 Q. And do you understand that model assumes maximum
24 emissions from the facility?

25 A. (Ms. Bottorff) Yes.

1 Q. And do you understand that EPA establishes NAAQS
2 to be protective of human health and the environment with
3 an adequate margin of safety?

4 A. (Ms. Bottorff) I understand that's what they
5 aim to do.

6 Q. And they do that through their Clean Air Science
7 Advisory Committee?

8 A. (Ms. Bottorff) I don't know that specifically.

9 Q. Ms. Bahr, do you know?

10 A. (Ms. Bahr) I don't know the specific name of
11 it, no.

12 Q. Are you aware of whether EPA has a group of
13 health experts that advises it with respect to what the
14 National Ambient Air Quality Standards should be?

15 MR. RICH: Hold on. Who is that question to?

16 MR. ACKEN: Either one.

17 MS. BAHR: Yes, they do.

18 Q. BY MR. ACKEN: Thank you.

19 Back to you, Ms. Bottorff. Do you have an
20 opinion -- well, let me ask you this differently. I
21 butchered that question.

22 Would you agree that the air quality dispersion
23 modeling done by SRP in support of its air quality permit
24 application is more sophisticated than the COBRA model?

25 A. (Ms. Bottorff) Yes.

1 Q. I'm going to ask you the same question on
2 cleanup that I asked Ms. Bahr. Do you know whether there
3 is an annual PM10 National Ambient Air Quality Standard
4 that is currently in effect?

5 A. (Ms. Bottorff) My understanding is there is
6 not.

7 Q. Thank you.

8 MR. ACKEN: No further questions.

9 CHMN. KATZ: We'll go down -- Mr. Stafford, any
10 questions of this witness?

11 MR. STAFFORD: I believe I have one for
12 Ms. Bahr.

13 CHMN. KATZ: That's fine.

14
15 CROSS-EXAMINATION

18 Slide 110 from SRP Exhibit 2.

19 CHMN. KATZ: Are we trying to get that put up on
20 the screen?

21 MS. BAHR: I assume so. I don't have it in
22 front of me.

23 MR. STAFFORD: I think they're working on it.
24 Thank you.

25 Q. BY MR. STAFFORD: Now, Ms. Bahr, to the right,

1 the 2050 reduction in mass, is that sufficient to
2 mitigate climate change as discussed by the IPCC in their
3 AR6 report?

4 A. (Ms. Bahr) For 2050?

5 Q. Yes.

6 A. (Ms. Bahr) I don't believe so.

7 Q. What about their 2035 goal?

8 A. (Ms. Bahr) No.

9 MR. STAFFORD: Thank you. Nothing further.

10 CHMN. KATZ: Thank you.

11 Anything from Ms. Post?

12 MS. POST: No, thank you.

13 CHMN. KATZ: Any re -- oh, Ms. Ust.

14 MS. UST: Nothing from Staff. Thank you.

15 CHMN. KATZ: Thank you.

16 Any redirect?

17 MR. RICH: Are there any Committee questions
18 first, Mr. Chairman? Or I'm happy to go --

19 CHMN. KATZ: Thanks for reminding me.

20 Do any Committee Members have questions for
21 either of these two witnesses? And then we'll go to
22 redirect when the Committee is done.

23 MEMBER HAMWAY: No questions.

24 CHMN. KATZ: Nobody physically present in the
25 room has a question.

1 Do any of our folks appearing virtually have any
2 questions to either Ms. Bottorff or Ms. Bahr.

3 (No response.)

4 CHMN. KATZ: Hearing silence, please feel free
5 to go ahead with your redirect.

6 MR. RICH: Thank you. Just a few questions.

7

8 REDIRECT EXAMINATION

9 BY MR. RICH:

10 Q. Ms. Bottorff, you were asked about the
11 dispersion modeling and the information that SRP included
12 in its application. Do you recall those questions?

13 A. (Ms. Bottorff) Yes.

14 Q. And earlier, you testified, and I want to make
15 sure you still agree, that SRP did not perform any health
16 impact modeling associated with this project that you're
17 aware of, correct?

18 A. (Ms. Bottorff) Correct. SRP's modeling is a
19 more complex air dispersion model, but they did not take
20 the next step of translating that air dispersion model
21 into the human health impacts of the pollution.

22 Q. And while COBRA may be a, quote, crude model, is
23 it your testimony that because of the high and low bounds
24 of potential impacts, we can be confident that within
25 those bounds lies the answer?

1 A. (Ms. Bottorff) Yes. And as COBRA also says,
2 while it acknowledges the perhaps limitations it has,
3 they are clear that it is a useful tool for policy
4 analysis and public discussion such as what we're doing
5 here.

6 Q. Thank you.

7 And, Ms. Bahr, SRP asked you to read their
8 Exhibit No. 6. Do you recall that?

9 A. (Ms. Bahr) Yes, I do.

10 Q. And you were asked whether a working group
11 should be formed for the town of Randolph's benefit. Do
12 you recall that?

13 A. (Ms. Bahr) Yes.

14 Q. And are you aware that SRP operates or installed
15 a 500kV line that goes adjacent to the town of Randolph?

16 A. (Ms. Bahr) Yes.

17 Q. And that, obviously, there's an existing
18 generating station in place across the way from Randolph;
19 is that correct?

20 A. (Ms. Bahr) Yes.

21 Q. And so with that in mind, do you have any
22 comments on that Exhibit 6 and whether or not SRP should
23 have perhaps done something different along the way?

24 A. (Ms. Bahr) Yes. In reviewing that document, I
25 thought, Why haven't they done this already. It seems

1 like the minimum. There ought to be other things. But
2 with the existing power plant, with the kind of light
3 pollution and other issues associated with it, the 500kV
4 line, why haven't they done this already. And it seems
5 to me that it's something that they should have
6 considered when they acquired the plant originally.

7 Q. Great. Is there anything else you want to add
8 on that topic?

9 A. (Ms. Bahr) I think that covers it.

10 MR. RICH: That's all the questions I have. I
11 want to thank you both very much for being here and
12 offering your testimony.

13 CHMN. KATZ: And, again, Ms. Bahr, you are
14 welcome to remain throughout these proceedings, and so
15 are you virtually, Ms. Bottorff, but thank you both.

16 MS. BAHR: Thank you.

17 CHMN. KATZ: You're both excused.

18 MS. BOTTORFF: Thank you.

19 (The witnesses were excused.)

20 CHMN. KATZ: And as you're shuffling around,
21 what are we going to do next?

22 MS. POST: My witness, Adrienne Hollis, is
23 online and ready to testify.

24 CHMN. KATZ: Okay. Just give us a minute or so.

25 And this witness -- do you prefer an -- well,

1 state your name and spell your last name for us, if you
2 would, please, and then I'm going to ask you whether you
3 prefer an oath or an affirmation.

4 MS. HOLLIS: Yes. My name is Adrienne Hollis.
5 A-d-r-i-e-n-n-e, H-o-l-l-i-s. And an oath is fine.

6 CHMN. KATZ: Okay. Just give me a second.
7 (Adrienne Hollis was duly sworn by the
8 Chairman.)

9 CHMN. KATZ: Thank you very much.
10 And, Ms. Post, whenever you're ready, you may
11 begin.

12

13 ADRIENNE HOLLIS,
14 called as a witness on behalf of Randolph Residents,
15 having been previously sworn by the Chairman to speak the
16 truth and nothing but the truth, was examined and
17 testified as follows:

18

19 DIRECT EXAMINATION
20 BY MS. POST:

21 Q. You've just stated your name, so can you please
22 state your business name and address.

23 A. Yes. My business is Hollis Environmental
24 Consulting Services, LLC. The address is 2113
25 St. Joseph's Drive in Bowie, Maryland 20721.

1 Q. On whose behalf are you testifying in this case?

2 A. On the community's behalf.

3 Q. Have you submitted a resume or CV?

4 A. Yes.

5 Q. And I would just point out that it is 34 for
6 Randolph Residents.

7 And does this CV accurately reflect your
8 education and experience?

9 A. Yes, it does.

10 Q. Could you give us a summary of your education
11 and experience?

12 A. Sure.

13 I have a PhD in biomedical sciences. I focused
14 on environmental toxicology as an environmental
15 toxicologist. I'm also an environmental attorney, and I
16 also work at the intersection of environmental justice
17 and environmental racism, climate change, and public
18 health, and everything in between.

19 Q. And what is the purpose of your testimony?

20 A. The purpose of my testimony is to provide
21 additional context on the serious nature of environmental
22 contamination and exposure and the importance of
23 maintaining the history of African American communities
24 and other communities of color.

25 CHMN. KATZ: Also -- this is the Chair. I just

1 was wondering, what was the PhD in? You gave a long list
2 of your qualifications. But the doctorate is in what
3 field?

4 THE WITNESS: My PhD is in biomedical sciences.

5 CHMN. KATZ: Okay. Got it.

6 Q. BY MS. POST: What is your knowledge and
7 research on environmental justice and environmental
8 racism?

9 A. I've been working in the field of environmental
10 justice and, as such, environmental racism for 30 years
11 with frontline communities, environmental justice
12 communities, addressing issues that they face around
13 toxic substances.

14 Q. And what is an environmental justice community?

15 A. Well, an environmental justice community
16 typically has been considered the African American
17 community, but other people of color, communities of low
18 socioeconomic status that are disproportionately affected
19 by environmental pollution and who bear the burden
20 unfairly and unequally when it comes to living in
21 proximity to facilities and areas that are contaminated,
22 facilities that produce contamination.

23 Q. Is there a history of toxic exposure to
24 environmental justice communities?

25 A. Yes, there is. There's a long history. It's

1 been well documented. For example, one of the best
2 reference sources is from -- well, I knew you would ask
3 me this -- from Dr. Robert Bullard's book, The Wrong
4 Complexion for Protection, which talks about how people
5 of color are disproportionately affected by environmental
6 pollution.

7 Q. What are some of the negative nonhealth
8 consequences of environmental injustice?

9 A. Some of the negative nonhealth effects include
10 food insecurities, access to healthy foods . Energy
11 insecurity, where a community is, for a number of
12 reasons, be it the fact that they live in housing with
13 poor infrastructure or their economic situation is such
14 that they can't afford to pay their utility bills, they
15 are in a position of energy insecurity. Also includes
16 things like job loss and unsafe communities, unsafe
17 environments for the most part, among other things.

18 Q. Is there a correlation between environmental
19 exposure and adverse health effects? We have had quite a
20 bit of testimony about that. But from your background in
21 toxicology, could you give us maybe some specifics. I
22 see you've mentioned disruptors and other things.

23 A. Yes. The relationship between exposure to
24 contaminants, for example, air pollution or greenhouse
25 gases, include increased asthma, increased respiratory

1 illnesses in general, lung cancer, heart disease, infant
2 mortality, preterm labor and infant mortality.

3 And then a number of chemicals have reproductive
4 effects. They're called endocrine disruptors. And the
5 health effects can range from infertility to a variety of
6 health conditions that an infant born can have.

7 Q. I want to turn to what is Randolph Residents
8 Exhibit No. 4, which is the report from 1987, Toxic
9 Wastes and Race in the U.S. Are you familiar with that
10 report?

11 A. I am.

12 Q. Can you give us a summary of that report.

13 A. Sure.

14 It's the first report that documented the
15 presence of hazardous wastes in racial and ethnic
16 communities throughout the U.S. And it was commissioned
17 by the United Church of Christ for Racial Justice. And
18 it was found that there were clear patterns; that
19 communities with higher percentages of minority
20 populations had clear patterns that showed that these
21 were the areas that were chosen as sites for toxic waste
22 facilities, that it was deliberate.

23 Q. So this report, was this the first report on
24 this issue?

25 A. It was the first major report, yes.

1 Q. And who authored this report?

2 A. The report was actually authored by Dr. Charles
3 Lee from the United Church of Christ Commission for
4 Racial Justice.

5 Q. Was Dr. Bullard involved in this report?

6 A. Yes.

7 Q. And who is Dr. Bullard today?

8 A. He is considered by some to be the father of
9 environmental justice. He has a long history and great
10 knowledge on environmental justice issues and the
11 challenges that environmental justice communities face
12 when it comes to environmental contamination.

13 Q. What happened after this report was released?

14 A. Well, what happened -- what happened included
15 the fact that more attention -- some attention was
16 provided to the issue of Superfund sites. The siting of
17 facilities in communities sort of came to light. And I
18 think people started paying more attention to the
19 location of these facilities, although the siting of them
20 did not cease at that point. But the recommendations of
21 cleanup for those sites were taken into account, I think,
22 with Superfunds under the Clean Air Act. So it had a big
23 impact on environmental policy and legislation.

24 Q. One of our witnesses, Dr. Tim Collins, testified
25 that this is what kicked off the environmental justice

1 movement. Would you agree with that?

2 A. I would.

3 Q. And this particular report is focusing on waste
4 facilities; is that correct?

5 A. Yes, that is correct.

6 Q. So does that mean its importance is only limited
7 to waste facilities?

8 A. It is not. No, it isn't.

9 The pattern that was elucidated in this study is
10 applicable across the board.

11 Q. Across the board to what?

12 A. To environmental contamination and exposure in
13 general in communities of color.

14 Q. Now, we also have had both SRP and Dr. Collins
15 give a definition of environmental justice. What is your
16 definition of environmental justice?

17 A. Well, environmental justice, in a nutshell, is
18 equal protection from pollution. Although some people
19 think it's equal pollution, I think what it does is calls
20 for -- it addresses the fact that everyone is entitled to
21 live in a clean and healthy environment.

22 Q. Is it important to do research in preservation
23 of Black communities in this country?

24 A. Yes, it is, because it's --

25 Q. Why?

1 Go ahead. Why?

2 A. It's a part of our heritage, of the heritage of
3 the United States. And in that regard, it should not be
4 excluded. And, you know, now that we're really focusing
5 on the issues around environmental racism and how
6 environmental racism continues to impact the lives of
7 people of color, it is important to talk about the role
8 that these communities have played in I guess the
9 establishment of this country and in contributing to
10 that.

11 Q. What has been the record of the United States
12 thus far in preserving these Black historical towns and
13 other buildings and communities?

14 A. Well, that is -- I think that's an important
15 question. Unfortunately, it hasn't been really -- it
16 hasn't been good. The fact that only 2 percent of
17 National -- sites on the National Historic Register are
18 focused on Black Americans says a lot when you have more
19 than 95,000 entries on the national register.

20 Q. Would it be important for Arizona to have such a
21 town registered with the State and National Historic
22 Register?

23 A. Absolutely. Arizona is one of the most diverse
24 states in the nation; and, as such, the history of not
25 only our indigenous brothers and sisters, Native

1 Americans, and Spanish-speaking populations, but the role
2 that African Americans played is very important. And I
3 know that currently there exists at least in the state
4 six historic sites, six historic African American sites.

5 Q. When you say that Arizona is one of the most
6 adverse in the nation, what do you mean by that?

7 A. Diverse.

8 Q. Oh, diverse. Okay. Sorry.

9 A. Yes. Sorry.

10 Q. All right. Are you aware of -- well, let me
11 turn to what is Randolph Residents Exhibit No. 5, The
12 fight to preserve Black Historic Places. Are you aware
13 of that?

14 A. I am aware of it generally.

15 Q. And the Preserving African American Places, can
16 you tell us about this organization and this historic
17 fund, which is --

18 A. I can tell you that because the Federal
19 Government and the organizations that focus on
20 preservation have not focused on African Americans that
21 organizations took it upon themselves to preserve these
22 important structures and locations; and that, for the
23 most part, under -- throughout history -- or as history
24 progressed, the African American contribution was
25 ignored. And when it was -- when it did become part of

1 the -- I guess the narrative, the structures, for
2 example, were deteriorated to the point where they were
3 not, in some instances, fit for addition to the national
4 register. So these organizations took it upon
5 themselves, which was a great thing, to sort of gather
6 information on these facilities -- excuse me -- on these
7 sites.

8 Q. Could you tell us what your organization does
9 both in regards to environmental justice and preservation
10 of Black spaces.

11 A. Sure.

12 Well, two things. My organization -- one of the
13 organizations that I'm on the board of, the one that I
14 think you're talking about, is the Chisholm Legacy
15 Project. And part of what we do is work with freedmen's
16 settlements. And freedmen's settlements are areas of the
17 country that were populated or created by former slaves
18 called freedmen.

19 And so these communities are -- they have a
20 long, rich history of existing in various states. And we
21 work with them, working to identifying them and to
22 address the fact that some of them don't have access to
23 water and have never been on city water. We have a
24 community right now in Texas in that very situation.

25 I also, in my consulting, I work with

1 communities to address issues around environmental
2 contamination and ensure that policy is focused on or
3 incorporates the effects of pollution on communities of
4 color and those that are disproportionately impacted by
5 things like climate change for a variety of reasons,
6 mostly stemming from systemic racism.

7 Q. Do you know if the Chisholm Legacy Project is
8 prepared to work with the Randolph community?

9 A. I do. And, yes, they are.

10 MS. POST: I have no further questions.

11 I pass the witness for cross.

12 CHMN. KATZ: Mr. Acken.

13 MR. ACKEN: Thank you, Mr. Chairman.

14

CROSS-EXAMINATION

16 BY MR. ACKEN:

17 Q. Good afternoon, Dr. Hollis. Can you hear me
18 okay?

19 A. Yes, I can hear you. Good afternoon.

20 Q. My name is Bert Acken. I am counsel for Salt
21 River Project in this matter.

22 I see from your CV that you're a professor at
23 George Washington.

24 A. I am an adjunct professor at George Washington,
25 yes.

1 Q. So your classes that are listed on there are
2 kind of fascinating. I went to GW many moons ago. I
3 don't think that a class such as yours -- they were few
4 and far between when I went there, so that's great to see
5 that that's there.

6 I just have a couple questions for you.

7 You talk about the -- establishing Randolph as
8 getting its historic designation, correct?

9 A. Do I talk about that? I'm sorry. I didn't
10 understand.

11 Q. Did you talk about that in your testimony? You
12 talk about working to get Randolph established as a
13 historic designation?

14 A. I did not say that, so ...

15 Q. Okay. Maybe I misunderstood you.

16 But you talk about the importance of the
17 history, correct.

18 A. Yes. The history of African American
19 communities, yes.

20 Q. Okay. So maybe I made a leap that I shouldn't
21 have, so let me ask it this way: Would you support
22 efforts by Salt River Project to work with the community
23 of Randolph to obtain those historic designations for the
24 community?

25 A. That is actually a question that I can't answer

1 since I don't know the -- I don't know anything about the
2 organization, about Salt River Project. I don't know if
3 they have -- if they're qualified. I don't have any
4 information on that.

5 Q. Okay. Are you familiar with Arizona State
6 Center for Race and Democracy?

7 A. I am not.

8 MR. ACKEN: No further questions. Thank you.

9 CHMN. KATZ: Anything from Mr. Rich?

10 MR. RICH: No, sir.

11 CHMN. KATZ: Mr. Stafford.

12 MR. STAFFORD: No questions, Chairman.

13 CHMN. KATZ: Staff, Ms. Ust.

14 MS. UST: Nothing from Staff. Thank you.

15 CHMN. KATZ: Let me just ask the Committee.

16 MEMBER HAMWAY: I have one.

17 CHMN. KATZ: Yes. Go ahead, Ms. Hamway.

18 MEMBER HAMWAY: So you just said that the
19 Chisholm -- was it some organization called the Chisholm
20 that is willing to work with Randolph?

21 DR. HOLLIS: Chisholm Legacy Project.

22 MEMBER HAMWAY: So how do we fix this? How do
23 we go back and help these Black communities find the
24 history, document the history, fix up these communities?
25 What do you recommend? How do we do this?

1 DR. HOLLIS: Well, you know, that's a very good
2 question. I don't have all the answers, but I do know
3 the first step is to work with partnership with these
4 communities. And interestingly enough, the communities
5 really have the historical knowledge. And I think that
6 just one of the issues is that we don't partner with them
7 and invite them to have their rightful place at the
8 table. And so that would be the first step. And in that
9 way, we can find out what is already in existence because
10 the knowledge is there.

11 MEMBER HAMWAY: Okay. Thank you.

12 CHMN. KATZ: Any other questions from Committee
13 Members that are present in the hearing room?

14 (No response.)

15 CHMN. KATZ: Anything from our remote folks?

16 MEMBER GRINNELL: Mr. Chairman.

17 CHMN. KATZ: Yes. Mr. Grinnell.

18 MEMBER GRINNELL: Doctor, thank you for your
19 presentation and discussion.

20 Coming from a multicultural environmental
21 growing up and in my own family, one of the common
22 denominators within the minority community has been the
23 economic status of these various communities. Would that
24 be appropriate to say?

25 DR. HOLLIS: Absolutely.

1 MEMBER GRINNELL: And with that, do we not only
2 try to find ways to recognize cultural contributions to
3 our history, wouldn't it also be advantageous for the
4 counties and the local jurisdictions to contribute to
5 this opportunity of transition to a much more educated
6 environment?

7 DR. HOLLIS: Yes. And that includes providing
8 opportunity for jobs and opportunities for businesses to
9 thrive in these communities and opportunities for these
10 community representatives to be part of the actual -- to
11 actually be part of the city, you know what I mean, be
12 part of the work that's done at the city level or the
13 county level or the state level.

14 MEMBER GRINNELL: All right. Thank you, Doctor,
15 again for your presentation.

16 CHMN. KATZ: Anyone else from our Committee long
17 distance?

18 (No response.)

19 CHMN. KATZ: Nothing further.

20 Any redirect?

21 MS. POST: No redirect. The witness may be
22 excused.

23 CHMN. KATZ: Dr. Hollis, thank you very much for
24 being present here today. Have a good rest of the day
25 and take care.

1 DR. HOLLIS: Thank you.

2 (The witness was excused.)

3 CHMN. KATZ: Do we have one more Sierra Club
4 witness?

5 MR. RICH: No. That's all of our witnesses.

6 CHMN. KATZ: Okay. Any of our intervenors have
7 anything further to present by way of testimony?

8 (No response.)

9 CHMN. KATZ: Hearing silence, I am assuming that
10 you have some redirect examination?

11 MR. ACKEN: Mr. Chairman, we do have some
12 testimony we would like to illicit on rebuttal. Should
13 we take like a five, ten-minute break to get it set up?

14 CHMN. KATZ: Sure. And I said redirect. I
15 meant rebuttal.

16 But, anyway, we can take a break until about 20
17 after 2, and then we can get started.

18 And how many witnesses do you expect to call?

19 MR. ACKEN: Four, Chairman Katz. But it is --
20 we're going to do it in a panel format. Three of them
21 are witnesses that are already sworn previously and
22 provided testimony.

23 CHMN. KATZ: By the time we're done, we're
24 probably going to fill up the afternoon with their
25 testimony?

1 MR. ACKEN: We'll see. We have four because
2 there are different subject matters we need to cover.
3 But it's really -- I don't expect it to be an extensive
4 direct. Obviously, it depends on the questions. An hour
5 or so.

6 CHMN. KATZ: We'll see where we're at. I just
7 don't know if it's going to make sense to try to begin
8 deliberations this afternoon or start fresh early
9 tomorrow morning.

10 We do stand in recess for about seven or eight
11 minutes. Just let us know when you're ready.

12 (A recess was taken from 2:12 p.m. to 2:23 p.m.)

13 CHMN. KATZ: If you're ready to proceed, please
14 do so. And I believe that three of the four witnesses
15 were previously sworn; is that correct, Counsel? And
16 we're back on the record.

17 Three of our four witnesses were previously
18 sworn or affirmed; is that correct?

19 MR. ACKEN: That is correct, Chairman.

20 For rebuttal testimony, Salt River Project calls
21 Bill McClellan, Angie Bond-Simpson, and Anne Rickard, all
22 of whom had previously provided testimony in this
23 proceeding, and Robert Olsen, who is a new face to the
24 Committee in this proceeding.

25 CHMN. KATZ: And let me just ask you -- the

1 three of you are still under oath or affirmation subject
2 to penalty of perjury, and I'll say nothing further.

3 And, Mr. Olsen, do you prefer an oath or
4 affirmation?

5 MR. OLSEN: I have no preference.

6 (Robert Olsen was duly sworn by the Chairman.)

7 CHMN. KATZ: You may be seated.

8 And you may proceed, Mr. Acken.

9 MR. ACKEN: Thank you.

10

11 WILLIAM MCCLELLAN, ANGIE BOND-SIMPSON,

12 ANNE RICKARD, ROBERT OLSEN,

13 called as witnesses as a panel on behalf of Applicant,
14 having been previously affirmed or sworn by the Chairman
15 to speak the truth and nothing but the truth, were
16 examined and testified as follows:

17

18 DIRECT EXAMINATION

19 BY MR. ACKEN:

20 Q. We're going to start with Mr. Olsen.

21 And since you are a new face, please state your
22 name and business address for the record.

23 A. (Mr. Olsen) My name is Robert Olsen. My
24 business address is SRP. It's at 1500 North Project
25 Drive in Phoenix, Arizona.

1 Q. By whom are you employed and in what capacity?

2 A. (Mr. Olsen) I'm employed by the Salt River
3 Project, and I currently fulfill the role of the director
4 of supply and trading in fuels for SRP. And in that
5 capacity, I'm responsible for SRP's market participation.
6 And that includes bilateral and EIM participation as well
7 as all of our commodity transactions associated with
8 generation, and that includes natural gas pipeline
9 transmissions and commodity trading.

10 Q. Next describe your educational and professional
11 background.

12 A. (Mr. Olsen) I have a bachelor's degree in
13 mechanical engineering from Northern Arizona University.
14 I've been employed at SRP for more than 17 years now,
15 working in a variety of roles and responsibilities,
16 including power generation, corporate engineering, field
17 procurement, and my current role as director of markets.

18 MR. ACKEN: I'd like to bring up Sierra Club --
19 and, Mr. Rich, if you can confirm, I think it's Sierra
20 Club Exhibit 34 was the slide presentation?

21 MR. RICH: Yes.

22 MR. ACKEN: So Sierra Club Exhibit 34, Slide 15.
23 Thank you very much.

24 Q. BY MR. ACKEN: On the screen in front of you,
25 Mr. Olsen, is what has been marked for identification as

1 Sierra Club Exhibit 34, Slide 15. And the heading is
2 Existing Coolidge generator operates for short intervals.

3 Do you see that in front of you?

4 A. (Mr. Olsen) Yes, I do.

5 Q. And were you here -- were you present for the
6 testimony of Sierra Club witness Rob Gramlich this
7 morning?

8 A. (Mr. Olsen) Yes, I was.

9 Q. And did you hear his testimony regarding this
10 slide?

11 A. (Mr. Olsen) Yes.

12 Q. So this slide presents -- well, why don't you
13 describe what the slide presents.

14 A. (Mr. Olsen) I would be happy to.

15 So this slide represents how Coolidge generator,
16 at least one block of the existing Coolidge Generating
17 Station, was deployed during August. And has it notes at
18 the top of the slide, this was during what has kind of
19 been referred to as a heat dome or a heatwave, a
20 significant heat storm that enveloped the entire Western
21 United States and strained the electrical operating grid
22 as part of this time period.

23 To provide context for the data that you see on
24 the slide here, as I referenced, the capacity and energy
25 were extremely tight during the event. To provide

1 context to that, we saw energy prices, which will
2 typically transact in the 50 to maybe 70 dollar per
3 megawatt-hour range, we saw pricing go north of \$1,500
4 per megawatt-hour, to provide some context there. That
5 type of market move, from a pricing perspective,
6 indicates extreme scarcity. As a result of that, we were
7 hyperconcerned about the ability to continue to bring in
8 or find capacity during a very tight time period;
9 specifically, to access that capacity in the real-time
10 markets.

11 It would be one thing for my team to have to
12 work through such an event. This was extreme and
13 difficult for many utilities across the West to deal
14 with. However, in addition to the heat conditions that
15 were present, SRP was also experiencing -- well, Arizona
16 was also experiencing a wildfire in the eastern portion
17 of the state which threatened our transmission lines
18 which brought in a significant capacity as part of
19 serving our load.

20 As a result of that, you can see that there are
21 several zeros here that materialized around the 14th and
22 moved forward. When we noticed that our transmission
23 assets were at risk as well as significant concerns
24 regarding capacity on the system, SRP did go ahead and
25 move these resources into a condition which is known as

1 replacement reserve. And a replacement reserve is a
2 resource that is on standby ready to serve at a moment's
3 notice when either a generator or a transmission line
4 trips out of service.

5 And because of our concerns regarding capacity,
6 as indicated by the pricing as well as risk of loss of
7 transmission, really for an unforeseen period of time as
8 a result of that wildfire, we took the Coolidge
9 Generating Station and placed it into reserve capacity in
10 order to ensure that if we did lose that transmission
11 line or any other generator, we would be able to maintain
12 reliable electric service during that time period.

13 Q. Thank you.

14 Next let's move to Slide 18. And this slide
15 concerns gas that was offline during Winter Storm -- is
16 it Uri? In I believe it was February of 2021. Do you
17 see that in front of you?

18 A. (Mr. Olsen) Yes, I do.

19 Q. Did SRP suffer any loss of generation or
20 reliability issues related to gas constraints in that
21 winter storm event?

22 A. (Mr. Olsen) No, we did not.

23 Q. Are you aware of any Arizona utilities having
24 lost generation or facing reliability concerns related to
25 Winter Storm Uri?

1 A. (Mr. Olsen) I am not.

2 Q. And why is that as it relates to SRP?

3 A. (Mr. Olsen) As it relates to SRP, when it comes
4 to natural gas freeze-off events -- as previous testimony
5 provided from intervenors, there are freeze-off events
6 that occur from time to time. As a result, SRP has
7 deployed a variety of techniques to help combat the risk
8 of freeze events on the gas transportation system.

9 And that includes, one, deploying a diverse
10 portfolio of resources. During the Winter Storm Uri
11 event, we were able to kind of swift generation from gas
12 over to coal as well as leverage market purchases in
13 other items to help supplement.

14 And we also worked to diversify our gas supply.
15 We sourced not just from the Permian Basin. We also
16 sourced from the San Juan Basin in the Four Corners
17 region. This helped to diversify risk of freeze events.
18 While it can get cold in both areas, we tend to see deep
19 freezes in one basin versus the other.

20 But we also diversify our transportation rights
21 for firm transportation of gas across two different
22 pipelines. We focus on rights that are balanced between
23 the El Paso Natural Gas pipeline system as well as rights
24 that are on the Transwestern Pipeline system. This
25 really enables SRP to deploy as much flexibility as we

1 can, even when there's a gas event, to help to manage and
2 redirect gas supply and mitigate the risk of any
3 particular event.

4 Q. Thank you.

5 Now I'd like you to take a look at Slides 19 and
6 20. If we could scroll forward. This Slide 19
7 references a 2017 NERC study. And if we could go to the
8 next slide. It also references that 2017 NERC study.

9 Do you see that in front of you?

10 A. (Mr. Olsen) Yes, I do.

11 Q. Are you aware of any subsequent studies done?

12 A. (Mr. Olsen) Yes, I am.

13 Q. And were those studies specific to the WECC
14 region?

15 A. (Mr. Olsen) Yes, they were.

16 Q. And what were the conclusions?

17 A. (Mr. Olsen) Sure.

18 So, as a result of the 2017 NERC study, the WECC
19 region, in 2018, hired a consultant named Wood Mackenzie
20 to perform a more detailed analysis relevant to the
21 Western interconnection.

22 And part of their conclusions determined that
23 the probability for a gas event affecting the Desert
24 Southwest as represented here was substantially lower
25 than what was reflected in the NERC study that was

1 completed the year prior.

2 There were a couple notes that were included in
3 that that I believe are relevant for this proceeding.

4 And the first one of note would be that during
5 the time period of the study, there's a gas storage field
6 known as Aliso Canyon. It is located in Southern
7 California. And Aliso Canyon was out of service at the
8 time that the 2017 and 2018 studies were performed.

9 WECC did perform a sensitivity with respect to
10 the Aliso Canyon gas storage field and recognized that if
11 that facility were in operations, were returned to
12 operations, that the otherwise de minimis risk associated
13 with loss of load associated with a gas event in the
14 Desert Southwest was completely mitigated. Shortly after
15 the WECC report was issued, the Aliso Canyon storage
16 facility was returned to service and has been operating
17 in substantial capacity ever since then.

18 In addition, the WECC study did also look and
19 evaluate what the effects of mitigation options would be
20 if Aliso Canyon were not in place. It identified that
21 mitigation opportunities could exist, and they explored
22 various options, including solar, which the WECC study
23 very specifically stated could not mitigate any gas risk
24 events in the region as well as battery storage. Battery
25 storage would require more than 15,000 megawatts of

1 capacity installed in order to mitigate a de minimis risk
2 of the gas system.

3 Q. You testified as to some of the practices that
4 SRP deploys to mitigate risk to gas supply. Do you have
5 anything else that you want to add on that topic?

6 A. (Mr. Olsen) The only other item that I would
7 add relative to that topic is we focus very much on
8 management of our gas supply in two particular
9 categories.

10 We focus primarily on diversification of
11 physical supply, as I discussed before. During those
12 types of constrained events, you also have pricing risk.
13 SRP deploys a very robust hedging protocol and program to
14 help to further minimize and manage pricing risk
15 associated with those types of events. So SRP is very
16 conservative and takes a very proactive risk management
17 perspective with respect to these gas events.

18 Q. Let's next turn to Slide 25 in Sierra Club 34.

19 So as I understood the testimony this morning,
20 the witness was suggesting that Westwide markets reduce
21 the need for additional capacity by any one utility. Can
22 you provide background on requirements for Salt River
23 Project to participate in markets such as the EIM?

24 A. (Mr. Olsen) Sure.

25 So in order to actually participate within the

1 Energy Imbalance Market, there are regular tests that are
2 required to be performed -- and by "regular," they are
3 hourly test -- to demonstrate that any utility that is
4 participating within the market is prepared to fully
5 serve their load as well as to bring their own
6 flexibility to the marketplace itself.

7 And so while there can be benefits associated
8 with flexibility across the entire system, the market is
9 constructed to prevent leaning of capacity and
10 flexibility prior to actually allowing you to
11 participate.

12 So to put it a different way, SRP has to ensure
13 that we have sufficient capacity at all times to serve
14 our load, regardless of whether it exists in other
15 locations. We also have to have sufficient flexibility
16 on our own system in order to demonstrate participation
17 and access some of the lower-cost benefits of the EIM.

18 Q. So in light of that, can SRP rely on a market
19 such as EIM for the additional capacity it needs, the
20 additional capacity that this project provides?

21 A. (Mr. Olsen) No.

22 Q. What about flexibility? Can SRP rely on the EIM
23 for flexibility needs?

24 A. (Mr. Olsen) No. As I stated, while EIM
25 provides flexibility, in order to participate, SRP has to

1 bring its own system flexibility as demonstrated through
2 a pass-fail test to participate. So the short answer is
3 no.

4 Q. Thank you, Mr. Olsen.

5 Any other comments you'd like to share with the
6 Committee at this time.

7 A. (Mr. Olsen) Not at this time.

8 Q. Okay. Thank you.

9 Turning to Ms. Bond-Simpson. Welcome back.

10 MR. ACKEN: For her testimony, I'd like to have
11 on the screen Slides 98 and I believe it is 108 from SRP
12 No. 2.

13 Thank you very much.

14 Q. BY MR. ACKEN: Ms. Bond-Simpson, do you see
15 Slides 98 and 108 from SRP No. 2 in front of you?

16 A. (Ms. Bond-Simpson) I do.

17 Q. So there was some discussion and perhaps some
18 misstatements in the testimony this morning regarding the
19 role of E3.

20 What did SRP retain E3 to do?

21 A. (Ms. Bond-Simpson) So we retained E3 to use
22 their ELCC methodology and to use their own planning
23 tools, software tools, to provide an independently
24 derived portfolio that was reliably equivalent to the
25 portfolio with the Coolidge Expansion Project in it.

1 Q. And did you conducted an economic analysis --

2 MR. ACKEN: I'm going to ask that that slide go
3 back up, 108.

4 Q. BY MR. ACKEN: Did you conduct an economic
5 analysis of E3's portfolio that you asked them to
6 develop?

7 A. (Ms. Bond-Simpson) Yes. This is shown as the
8 ELCC sensitivity. In the lower right-hand corner of
9 Slide 108, this economic analysis indicated that even
10 using E3's alternative portfolio that the Coolidge
11 Expansion Project was the economic choice by \$305
12 million.

13 Q. So does this contradict Mr. Gramlich's testimony
14 that he believed that the economic analysis of E3's
15 portfolio would show a net present value benefit for
16 batteries?

17 A. (Ms. Bond-Simpson) It does.

18 Q. Mr. Gramlich also spent a lot of time talking
19 about the year 2026 and the amount of batteries that SRP
20 would need in 2026. Do you recall that testimony?

21 A. (Ms. Bond-Simpson) I do.

22 Q. Do you think that's a -- well, does SRP stop
23 planning in 2026?

24 A. (Ms. Bond-Simpson) Absolutely not.

25 Q. Do you think it's a fair approach to stop

1 looking at what happens beyond 2026?

2 A. (Ms. Bond-Simpson) Absolutely not.

3 It's important to consider long-term plans for a
4 number of considerations in order to meet reliability,
5 affordability, and even our sustainability targets, we
6 have to plan throughout a long-term horizon through 2035
7 and through 2050.

8 Q. And does Slide 98 reflect the alternative
9 portfolio compared to the portfolio with the Coolidge
10 Expansion Project in 2035?

11 A. (Ms. Bond-Simpson) It does.

12 Q. And can you explain again for the Committee how
13 much more standalone batteries and solar and batteries
14 SRP would need in 2035 without this project.

15 A. (Ms. Bond-Simpson) So, again, if I can reorient
16 you to the slide, everything shown on the left-hand side
17 in orange is indicative of what would come out of the
18 portfolio, and everything on the right-hand side in blue
19 is indicative of what would be needed to replace the
20 reliability.

21 And we have 1,900 megawatts of standalone
22 battery plus 400 megawatts of battery that would be
23 paired with solar in a hybrid system. And in order to
24 maintain reliability, we would also need 550 megawatts of
25 a renewably fueled combustion turbine that could dispatch

1 on demand.

2 Q. And those additional battery resources and
3 additional future combustion turbine with renewable fuel,
4 those are what SRP would need in addition to what it is
5 already planning to do with respect to batteries in order
6 to replace the Coolidge Expansion Project; is that
7 correct?

8 A. (Ms. Bond-Simpson) That is correct. Both
9 portfolios will be building renewables and batteries.
10 And what you are seeing here is the difference to
11 maintain reliability between the two portfolios.

12 MR. ACKEN: Next I'd like to show on the
13 right-hand screen what has been marked for identification
14 as SRP No. 8.

15 Okay. Thank you very much.

16 Q. BY MR. ACKEN: Committee Member Drago had
17 requested some additional information be provided
18 regarding Slide 110 to SRP No. 2.

19 And if you would, Ms. Bond-Simpson, for the
20 Committee, please walk the Committee through what has
21 been marked as SRP No. 8 shown on the right-hand screen.

22 A. (Ms. Bond-Simpson) Absolutely.

23 So I believe the Committee has seen this slide
24 several times now from its foundation. But what we're
25 showing here is the annual carbon emissions comparison

1 between the portfolios, the Coolidge Expansion Project
2 portfolio and the alternative portfolio. The Coolidge
3 Expansion Project portfolio is shown in blue. The
4 alternative is shown in yellow. And this is the mass
5 reductions or the mass emissions in 2035 and 2050 as
6 compared to the latest year, 2021.

7 The question I believe from our Committee Member
8 was what would be the renewable makeup in those
9 portfolios. And so we've included that information here.
10 By 2035, SRP is planning on reliably delivering 9,000
11 megawatts of renewables in order to meet our
12 sustainability goals. The vast majority of this includes
13 solar energy, but there is also wind, geothermal, hydro,
14 biomass included in this.

15 The difference between the two portfolios is the
16 balancing resources needed. This includes 2,300
17 megawatts of additional battery storage, as indicated on
18 Slide 98 to the left, and the 550 megawatts of renewably
19 fueled combustion turbines.

20 Again, this alternative portfolio came at a
21 cost, \$637 million. And we can see that the difference
22 in carbon emissions between the two is about 1 percent by
23 2035.

24 Q. And that difference in carbon emissions that
25 you're referring to, it shows a 74 percent reduction from

1 2005 for the expansion portfolio with this project that's
2 before the Committee and 75 percent reduction in the
3 alternative portfolio.

4 Again, what is that a reduction from?

5 A. (Ms. Bond-Simpson) That's a reduction from 2005
6 levels. This is tied -- 2005 is tied to the Paris
7 Accord. And so the levels at that time were about 18.7
8 million metric tons.

9 Q. Thank you.

10 Next, Mr. McClellan -- well, before I go to
11 Mr. McClellan, Ms. Bond-Simpson, did you have any other
12 comments that you wanted to share with the Committee
13 before I move forward?

14 A. (Ms. Bond-Simpson) Not at this time.

15 CHMN. KATZ: Would you just repeat how much
16 you'd have to spend if you added the increased solar.

17 MS. BOND-SIMPSON: The difference from net
18 present value between those two portfolios was \$637
19 million.

20 CHMN. KATZ: Thank you.

21 Q. BY MR. ACKEN: Mr. McClellan, there was a
22 question from the Committee, and I am paraphrasing, I'm
23 sure: Of the 3,200 megawatts of nationally installed
24 battery capacity in 2021, how much is in Arizona?

25 A. (Mr. McClellan) Sure.

1 So of that 3,200 megawatts deployed nationally,
2 in Arizona, there's about 95 megawatts of capacity that's
3 currently installed. And that consists of seven separate
4 projects.

5 I'll also add that the largest project that's
6 currently in Arizona is about 30 megawatts, and that's
7 the Wilmot Energy Center. And I believe that serves TEP.

8 CHMN. KATZ: Is that just solar, or is it solar
9 and battery?

10 MR. MCCLELLAN: It's -- well, I'm not sure if
11 it's solar and battery. I'm just referring -- the 30
12 megawatts is just the battery portion of that, Chairman
13 Katz.

14 And then I'll go on to mention nationally, the
15 largest battery storage projects, there's really two that
16 are fairly large. One is a 400-megawatt capacity project
17 in Florida. I believe that's called the Manatee project.
18 And then also, in California, there's a project that's
19 called Moss Landing. That's also a 400-megawatt battery
20 project.

21 I'll also go on to note that -- you remember
22 back to Mr. Smedley's testimony, I believe, SRP expressed
23 some concerns about the amount of battery storage that we
24 might have to add. In looking at the Moss Landing
25 project, that Phase 1 of that project, which is 300

1 megawatts, has been offline since September of 2021 due
2 to a fire at that facility. In addition, I just saw a
3 report that Phase 2 is now offline, which is the
4 remaining 100 megawatts. And that's due to a fire that
5 occurred just this past Sunday night.

6 Q. BY MR. ACKEN: Another question from the
7 Committee asked what country do the majority of solar
8 panels come from?

9 A. (Mr. McClellan) Yes. So a large portion of the
10 solar panels that are manufactured do come from China or
11 from Southeast Asia, so countries like Vietnam, Thailand.
12 A large portion of the manufacturing occurs in that area.

13 Q. Thank you, Mr. McClellan.

14 Do you have anything else to add right at this
15 time?

16 A. (Mr. McClellan) No, not right at this time.

17 MR. ACKEN: Next I'd like to show on the screen
18 what's been marked for identification as SRP No. 7.

19 Thank you.

20 Q. BY MR. ACKEN: And for this question, I'm going
21 to turn to Ms. Rickard.

22 Describe for the Committee what SRP-7
23 represents.

24 A. (Ms. Rickard) So SRP-7 represents what you've
25 heard me talk about extensively during this testimony,

1 which is our commitment to forming a community working
2 group.

3 That will consist of five Randolph residents.

4 We know we've gotten some who have said they would commit
5 to that during this testimony. We're confident we can
6 find many more. Also, a member of Pinal County
7 Supervisors, a member of City of Coolidge, and then two
8 members from SRP.

9 So what this shows is the Randolph residents
10 will have a seat at the table. We heard that in
11 testimony just this morning, that has been lacking. So
12 this working group is going to do that for them.

13 The objective is to identify and work with that
14 working group to meet the needs of the neighborhood.
15 You've heard me talk about we are not going to be
16 prescriptive in these solutions. It's working with them
17 to identify what is going to help that community the
18 most.

19 SRP is committed to retaining an independent
20 facilitator to run these meetings. We've also heard we
21 need to be respectful of where these meetings need to
22 happen. The first initial one will be a night or a
23 weekend time frame as near or in the vicinity of Randolph
24 as we can be.

25 So the scope of the CWG will -- that's the

1 acronym for community working group -- is to start with
2 implementing a landscaping plan that will visually screen
3 the project and mitigate noise. Also provide landscape
4 to common areas in Randolph.

5 Secondarily, reduce the impacts of the plant
6 lighting, accommodating safety measures that are
7 necessary within the plant for the employees that work
8 there. But, again, we've heard that that is something
9 that we can help mitigate.

10 Third, as we've also heard extensively, there is
11 funding available through state, through federal means.
12 We will supply a grant writer to help the residents --
13 again, it will be through this working group -- to
14 identify how we can provide additional funding to this
15 area.

16 And fourth, job training and skills development
17 to the residents of Randolph. That is going -- that can
18 start with working with what we've got available at SRP.
19 There is extensive training program that exists.
20 Tradesmen jobs. There is a lot of opportunity right now
21 that exists with SRP. Also identifying areas outside of
22 SRP where there may be appropriate places for the
23 residents to apply as well.

24 There's two -- I can give two examples that
25 we're working with right now. One is called Drive 48.

1 That's an organization that was started through Central
2 Arizona College, which is a facility to help train either
3 students or other residents to learn about the automotive
4 trade and then create that pipeline into that industry.

5 Another one is with ASU, who is looking
6 specifically to identify neighborhoods and communities of
7 color and minority students to help them get that
8 pipeline to access ASU. Both of those are projects that
9 SRP is currently working on.

10 Q. Does this proposal which is shown as SRP-7
11 differ from the prior proposal that you discussed marked
12 as SRP-6?

13 A. (Ms. Rickard) It's actually more extensive.
14 The prior proposal also talked about a community working
15 group, but the items that you see here today are in
16 response to what we've heard throughout this testimony.

17 Q. Thank you.

18 Beyond the community working group, Ms. Rickard,
19 are there other commitments SRP is prepared to make to
20 assist the community of Randolph that you'd like to
21 discuss?

22 A. (Ms. Rickard) Yes. I would like to also add
23 the opportunity to extend a scholarship program to the
24 residents there. Again, we would work with the community
25 working group to identify who is interested in this, in

1 what capacity, whether it's a trade program, a community
2 college, a university, but we are absolutely committed to
3 providing that scholarship program.

4 Q. Thank you.

5 MEMBER HAMWAY: Could I just ask quickly, is the
6 scholarship program just for Randolph residents who are
7 interested?

8 MS. RICKARD: Yes.

9 MEMBER HAMWAY: So you're going to set aside
10 taxpayer dollars, money -- or not taxpayer, but customer
11 money to grant scholarships for just this community?

12 MS. RICKARD: We would. This is something,
13 though, that SRP is not new to. We have other
14 scholarship programs available.

15 MEMBER HAMWAY: Okay.

16 Q. BY MR. ACKEN: Ms. Rickard, anything else before
17 I turn back to Mr. McClellan?

18 A. (Ms. Rickard) I just want to end with, again,
19 the focus on why we are stressing this community working
20 group so heavily. It's because we have listened, we've
21 heard from the residents themselves, they need that voice
22 at the table. I'm sorry if I'm repeating it, but it's
23 something that's so important to note why there are five
24 residents at the table in this group. They're the
25 majority represented so that we are not becoming just

1 another large corporation trying to fix something or not
2 fix it with them.

3 MEMBER HAMWAY: Could I ask another quick
4 question.

5 How long do you think it's really going to take
6 to implement these grants and get this community going
7 and get the streets paved and the cutters done and the
8 curbing done and all of that? What is your time frame on
9 that? And do you think it's -- can we be successful,
10 given that they have no political structure, they don't
11 really have a fire district. So there are some huge
12 barriers to success here.

13 So can you address that and how long you think
14 all of this will take so they can -- how long will it
15 take for them to start realizing some of these benefits?

16 MS. RICKARD: We're willing to start the
17 groundwork on getting this community working group
18 established now. It will not take long to get the
19 commitment from the Pinal County supervisor, we heard
20 from him earlier today, and City of Coolidge -- I'm
21 sorry. Not today, but earlier in this hearing. That can
22 happen within, you know, a short time frame. And I say
23 "short," I mean within a couple of months to get that
24 established, get time frames and schedules accommodated.
25 That part can happen quickly.

1 Yes, it will take longer for some of these more
2 monumental changes to take effect. But that's what that
3 group will start with immediately. Setting goals, what
4 are we trying to accomplish first. Set some short-term,
5 mid-term, long-term, goals and put dates associated with
6 them.

7 I do understand it is not a short undertaking.
8 We're here for the long haul, though.

9 MEMBER HAMWAY: So if you can't get three -- was
10 it three or five Randolph residents?

11 MS. RICKARD: We would like five.

12 MEMBER HAMWAY: If you can't get five?

13 MS. RICKARD: If we can't get five, we'll work
14 with the three we have.

15 MEMBER GENTLES: Mr. Chairman.

16 MEMBER HAMWAY: One other quick question. What
17 is the expectation that the citizens of Randolph will do
18 other than coming to the table and telling you what they
19 want. Is that all they have to do?

20 MS. RICKARD: No. We're going to rely on them
21 for constant feedback also to know that the changes that
22 we're making and deciding upon as a group are working.
23 What needs to change. What may be in five years out of
24 date that we need to adapt. But, no, not just hoping it
25 happens. They will have an active role in it.

1 CHMN. KATZ: Member Gentles, I believe you may
2 have had a question too.

3 MEMBER GENTLES: Ms. Rickard, does SRP have a
4 relationship partnership with Habitat for Humanity or
5 some other housing movement organization?

6 MS. RICKARD: We actually do, and I actually sit
7 on that board representing SRP. So I've already started
8 discussions with them, asking if that would be a
9 potential project. I don't have an answer yet, but ...

10 MEMBER GENTLES: So SRP does invest in housing
11 rehabilitation and economic development of neighborhoods,
12 correct?

13 MS. RICKARD: Through our donation to Habitat,
14 yes.

15 MEMBER GENTLES: Okay. So do you think that
16 might be an appropriate item to list even though you're
17 not being prescriptive of the needs that you believe that
18 the community wants?

19 MS. RICKARD: I don't think it's prescriptive,
20 no. I think it's definitely one that we could put as a
21 point of opportunity and then work to Habitat to see
22 what's feasible from their end.

23 MEMBER GENTLES: On the proposal that you just
24 showed us?

25 MS. RICKARD: Yes. I would be willing to put

1 that in there as an opportunity.

2 MEMBER GENTLES: So the rest of the things on
3 the list are opportunities as well, right?

4 MS. RICKARD: No. These are commitments. I
5 wouldn't be able to commit to what Habitat can fund
6 specifically without speaking to them.

7 MEMBER GENTLES: And I'm not necessarily asking
8 you to commit for Habitat. We're here talking about SRP.
9 I just asked the question whether or not you had a
10 relationship with them as an example of housing
11 rehabilitation partnerships that you've done in the past.
12 So the answer I hear is that SRP has engaged in some
13 housing rehabilitation, neighborhood revitalization
14 projects in the past.

15 MS. RICKARD: We provide a contribution to
16 Habitat, who then extends that housing opportunity.

17 MEMBER GENTLES: Okay. So given that this was
18 quite the weak situation, I suspect that SRP would think
19 their framework of ability would be creative in their
20 efforts to support and help this community.

21 MS. RICKARD: Did you say creative? Did I hear
22 that correctly, that we would be creative?

23 MEMBER GENTLES: Creative and innovative.
24 Because I've heard that SRP is quite innovative.

25 MS. RICKARD: Yes.

1 MEMBER GENTLES: So do you think that SRP would
2 be innovative in this area as well?

3 MS. RICKARD: I do.

4 MEMBER GENTLES: Great. Thank you.

5 CHMN. KATZ: Thank you.

6 MEMBER RIGGINS: Mr. Chair, this is John
7 Riggins.

8 CHMN. KATZ: Mr. Riggins.

9 MEMBER RIGGINS: I just had a question.
10 So regardless of the outcome of the CEC process,
11 whether it's approved or denied, does SRP's offer to
12 assist and work with the Randolph community stand, the
13 scholarship, the working to assist with infrastructure?
14 Is this something, since you are already existing
15 neighbors with the Randolph community?

16 MS. RICKARD: Yes, it absolutely stands.

17 MEMBER RIGGINS: Thank you.

18 MR. ACKEN: Thank you.

19 Q. BY MR. ACKEN: Mr. McClellan, Member Hamway
20 mentioned paving. And I'm sure the Committee will note
21 that paving is specifically addressed as part of the
22 community working group. Is SRP committed to paving
23 roads in the Randolph community?

24 A. (Mr. McClellan) Yes.

25 Q. And would SRP be willing to accept a condition

1 to that effect?

2 A. (Mr. McClellan) Yes.

3 Q. And is SRP committed to paving roads surrounding
4 the plant that the Committee went on the tour, saw the
5 dirt roads, saw the roads in desperate need of
6 maintenance? Is SRP willing to address those roads that
7 surround the plant as well?

8 A. (Mr. McClellan) Yes. And really looking at
9 Randolph Road that's on the north side of the facility,
10 Vail Road that's on the east side, and then also Kleck
11 Road to the south.

12 Q. And is one reason for not including it in the
13 community working group is that SRP can just make that
14 happen right away, to Member Hamway's comment about
15 timing? And maybe I shouldn't say "right away." You've
16 got to work with some other jurisdictions to make it
17 happen. But is that one reason to do it separately?

18 A. (Mr. McClellan) Yes.

19 Q. And who would you need to coordinate with to
20 make that -- to accomplish that?

21 A. (Mr. McClellan) I think we would certainly
22 have to coordinate with the City of Coolidge and Pinal
23 County as well.

24 Q. Another item that was on the original list that
25 is not listed in SRP-7 was support for establishing

1 Randolph as a national historic district or something
2 along those lines. Is SRP still supportive of that?

3 A. (Mr. McClellan) Yes.

4 Q. And does SRP envision that could be done, again,
5 outside the community working group?

6 A. (Mr. McClellan) Yes.

7 MR. ACKEN: That's all the questions I have for
8 this panel at this time. They're available for
9 questions.

10 CHMN. KATZ: Begin with Mr. Rich if he has any
11 questions.

12 MR. RICH: I do. Thank you, Mr. Chairman.

13

14 CROSS-EXAMINATION

15 BY MR. RICH:

16 Q. Good afternoon.

17 And let me start with Ms. Rickard.

18 So we just heard, I just want to confirm, the
19 items on SRP-7, SRP will be providing those and moving
20 forward with that independent of the result of this
21 proceeding, correct?

22 A. (Ms. Rickard) Correct.

23 Q. So if the CEC is denied, the members of Randolph
24 can expect, for example, that SRP will move forward with
25 the landscaping improvements, correct?

1 A. (Ms. Rickard) Correct.

2 Q. And SRP will move forward with reducing the
3 plant lighting issues if the CEC is denied, correct?

4 A. (Ms. Rickard) Yes.

5 Q. And does that include the road paving that we
6 just heard about? Will SRP move forward with paving the
7 roads if the CEC is denied?

8 A. (Ms. Rickard) Yes.

9 Q. And is there anything on the list or anything
10 that's been discussed that SRP will not move forward with
11 if the CEC is denied?

12 A. (Ms. Richard) I have nothing on this list, no.

13 Q. Other than they won't be building the power
14 plant, correct?

15 CHMN. KATZ: If it's denied?

16 Q. BY MR. RICH: If it's denied.

17 A. (Ms. Rickard) If it's denied, yes, I guess we
18 won't be building the plant.

19 Q. Let me -- if you could bring up SRP Exhibit --
20 actually, let me -- sorry, skipping around here.

21 Let me ask Mr. Olsen, you provided some
22 testimony about Winder Storm Uri, correct?

23 A. (Mr. Olsen) Yes.

24 Q. And does SRP receive gas from El Paso Natural
25 Gas?

1 A. (Mr. Olsen) Yes.

2 Q. And isn't it true that during Winter Storm Uri,
3 El Paso declared what's called a critical operating
4 condition?

5 A. (Mr. Olsen) Yes, that is true.

6 Q. And can you explain what that means.

7 A. (Mr. Olsen) A critical operating condition is
8 when there is not enough gas in the pipe to maintain the
9 engineered operating limits or that there's risk of that.

10 Q. And did SRP have gas curtailment or suffer from
11 curtailment of the gas supplies that it would have
12 otherwise received during that time period?

13 A. (Mr. Olsen) We did not experience any gas
14 curtailments outside of our expected and planned
15 curtailments anticipated through the event.

16 Q. I'm sorry. So you did --

17 A. (Mr. Olsen) So we did receive curtailments.
18 However, they did not exceed what we anticipated and
19 planned for going into the event.

20 Q. Okay. So, yes, you suffered from curtailments,
21 correct?

22 A. (Mr. Olsen) We didn't suffer from them. We
23 experienced them.

24 Q. Fair. I didn't mean to use that word in any
25 pejorative sense?

1 And a curtailment meant that you received
2 less -- you did not have access to all the natural gas
3 that you otherwise would under existing contracts,
4 correct?

5 A. (Mr. Olsen) That is correct.

6 Q. And did SRP -- what happened to the price of
7 natural gas during that time period during Winter Storm
8 Uri?

9 A. (Mr. Olsen) Well, the price of natural gas on
10 the spot market rose in excess of \$300 per MMBTU.
11 However, I will note that, as I mentioned, SRP has a
12 financial hedging program. So SRP's financial hedge has
13 settled consistent with what we were expecting going into
14 the month, which was closer to the \$5 per MMBTU range.

15 Q. Did SRP end up responsible for paying any
16 penalties as a result of gas curtailments?

17 A. (Mr. Olsen) We did not. SRP was one of the few
18 shippers in Arizona that did not suffer penalties. In
19 fact, we would have been owed several million dollars in
20 windfalls -- in penalties had El Paso not waived the
21 penalties for all shippers.

22 Q. So it sounds like you have knowledge of that.
23 Isn't it true that some utilities in the state of Arizona
24 were charged with penalties from El Paso Natural Gas as a
25 result of the events surrounding Winter Storm Uri?

1 A. (Mr. Olsen) There were some utilities that were
2 charged. I cannot speak to what the actual penalties
3 applied to other utilities are, but I also cannot speak
4 to how proactive they were regarding managing their
5 allocation of gas during the event.

6 Q. And isn't it true that during that event, the
7 State of Texas prohibited any natural gas resources from
8 leaving the state of Texas?

9 A. (Mr. Olsen) That is not true.

10 Q. Okay. Mr. McClellan, you talked about the
11 number of megawatts of battery storage installed in
12 Arizona and other jurisdictions. Do you recall that line
13 of questioning?

14 A. (Mr. McClellan) Yes.

15 Q. Do you know, before the Palo Verde Nuclear Power
16 Plant opened in the state of Arizona, how many megawatts
17 of nuclear power were located in the state of Arizona at
18 that time?

19 A. (Mr. McClellan) I do not.

20 Q. Do you think it was zero?

21 A. (Mr. McClellan) Yes.

22 Q. And yet the Palo Verde Generating Station is the
23 largest generating station in the United States; is that
24 correct?

25 A. (Mr. McClellan) I think it is among the

1 largest.

2 Q. Ms. Bond-Simpson, now I think I would like to
3 have I think it was SRP's new Exhibit No. 8 brought up,
4 and I've got a question for you.

5 A. (Ms. Bond-Simpson) Okay.

6 Q. So you're familiar, I assume, with SRP's 2035
7 sustainability commitments, correct?

8 A. (Ms. Bond-Simpson) I am.

9 Q. Okay. And is SRP's sustainability goal
10 consistent with this slide?

11 A. (Ms. Bond-Simpson) I'm not sure what you mean
12 by that question.

13 Q. Okay. Let's back up.

14 What is SRP's -- what are their goals with
15 regard to sustainability by 2035 in terms of the mass
16 reductions in CO2?

17 A. (Ms. Bond-Simpson) SRP does not have a mass
18 goal for 2035.

19 Q. Have you ever done a calculation of what the
20 carbon intensity goal would translate to in terms of mass
21 by 2035?

22 A. (Ms. Bond-Simpson) Yes, many times. It's
23 dependent on the load forecast in the portfolio.

24 Q. And what are the -- when you've done that
25 calculation, what results have you gotten?

1 A. (Ms. Bond-Simpson) It depends on the timing.

2 Q. Okay. Well, what's the last number you got?

3 A. (Ms. Bond-Simpson) The most recent reduction I
4 believe has not been reported to our board yet, but I
5 believe that's in the mid 60s.

6 Q. In the mid 60s, meaning that by 2035, SRP
7 expects carbon mass reduction in the mid 60 percent
8 range?

9 A. (Ms. Bond-Simpson) Yes.

10 Q. And what are the assumptions that were -- how
11 does that differ from previous calculations?

12 A. (Ms. Bond-Simpson) Load forecast grew from
13 those particular -- what we're seeing on Slide 1 now.

14 Q. Why -- if you just testified that the most
15 recent calculation you did had that translating into the
16 mid 60s, why does this say 75 or 74 percent?

17 A. (Ms. Bond-Simpson) This is reflective of the
18 alternatives analysis that I testified to, which I did
19 comment on that the load forecast had increased from this
20 timing, increasing the urgency for the CEP project.

21 Q. I'm not sure I understand. How does that 60
22 percent number differ from this 75 percent number, and
23 which one is more accurate?

24 A. (Ms. Bond-Simpson) The load forecast changed,
25 which increased -- or, I'm sorry, decreased the

1 reduction. That load forecast would be the most recent
2 carbon mass reduction.

3 Q. So that load forecast that you just referenced
4 is the 60 -- mid 60 percent range, is more recent and
5 more accurate than this number, then? Is that your
6 testimony?

7 A. (Ms. Bond-Simpson) Yes. It is more recent than
8 this number.

9 Q. Okay. So this number that's displayed in this
10 SRP-8 does not represent a current accurate forecast for
11 SRP, correct?

12 A. (Ms. Bond-Simpson) This number -- this number
13 does not represent the load forecast increases, the most
14 recent load forecast increases.

15 Q. So it's my understanding, and let me -- I guess
16 have you previously calculated the translation between
17 the 65 percent reduction in carbon intensity, which it is
18 utility's goal by 2035 -- have you previously calculated
19 that and turned be it into a mass reduction number
20 predicting a 35 percent reduction by 2035?

21 A. (Ms. Bond-Simpson) Yes. That was shown in the
22 summer stakeholder series in I believe it was either June
23 or July in response to a question.

24 Q. And I guess my source of confusion is that -- so
25 I don't understand how, in just a few months, SRP would

1 have gone from predicting 35 percent carbon reduction by
2 mass by 2035 to telling this Committee here today that
3 you're going to reduce carbon by 74 percent by mass in
4 the same time period. Can you explain that?

5 A. (Ms. Bond-Simpson) Yes. We are constantly and
6 continuously planning our system using the best available
7 information. And when the load forecast changes, we
8 update to understand that we have to maintain reliability
9 to meet that customer forecast. So as the load forecast
10 changes, we are continuously updating the resource plan
11 to meet those needs.

12 Q. What are the other elements of this blue bar on
13 Exhibit SRP-8? It's called the Coolidge Expansion
14 Portfolio. It is everything you have in place today plus
15 Coolidge Expansion Project, or are there other additions
16 that are added between here and 2035?

17 A. (Ms. Bond-Simpson) There are other additions
18 between now and 2035 that are consistent between
19 portfolios.

20 Q. So the only difference between those two
21 portfolios on there is the either inclusion or exclusion
22 of the CEP project?

23 A. (Ms. Bond-Simpson) In terms of reliability
24 needs, yes. The Coolidge Expansion Project and then the
25 replacement portfolio to maintain reliability, yes.

1 Q. So my question is in terms of metric tons of
2 CO₂, as this chart is supposed to depict, is the only
3 difference between those two portfolios the inclusion or
4 exclusion of the CEP project?

5 A. (Ms. Bond-Simpson) Correct.

6 Q. I want to make sure I understand this, because
7 it's a big difference. The mid 60 percentage to 75
8 percent is significantly different.

9 The load forecast, you said it went up; is that
10 correct? Or it went down? I just want to make sure I
11 got that in my mind.

12 A. (Ms. Bond-Simpson) The load forecast increased.

13 Q. Okay. And has the load forecast increased since
14 you calculated this back in June?

15 A. (Ms. Bond-Simpson) The load forecast increased,
16 yes, since this alternatives analysis was performed,
17 correct.

18 Q. Since the alternatives analysis that you
19 referenced having done over the summer in June, correct?

20 A. (Ms. Bond-Simpson) It was completed by May. It
21 was done over six months in 2021.

22 Q. Okay. And then that -- if the load forecast has
23 gone up since then, you would expect the carbon to come
24 down, right? I'm sorry. You would expect the percentage
25 reductions to get smaller, not bigger, right?

1 A. (Ms. Bond-Simpson) Not necessarily. So the
2 carbon goal is an intensity-based goal, so it is pounds
3 per megawatt-hour. And so when the load forecast
4 changes, it changes the amount of megawatt-hours
5 produced. And so when the load forecast goes up, it
6 could -- it could increase our mass. And so that would
7 decrease the percentage reduction from 2005.

8 Q. Okay. Did you rerun -- given your new -- your
9 newest information that's not reflected in SRP Exhibit 8,
10 have you also recalculated what that yellow bar would be
11 if you used your most recent load forecast?

12 A. (Ms. Bond-Simpson) No.

13 MR. RICH: Let me just check my notes really
14 quick, Mr. Chairman.

15 CHMN. KATZ: Sure.

16 Q. BY MR. RICH: I just wanted to make sure I
17 understand before I leave this issue, Ms. Bond-Simpson.
18 The load forecast has gone up, and yet you have
19 calculated that the carbon reduction in mass will
20 actually double. So even though the load is going up,
21 you're going to reduce by double what you were predicting
22 just a few months ago?

23 MR. ACKEN: Objection; asked and answered.

24 MR. RICH: It's not clear.

25 MR. ACKEN: Ms. Bond-Simpson -- it may not be

1 clear to you, but I think her testimony is that the
2 reason that the carbon emissions --

3 MR. RICH: Speaking objection, Mr. Chairman.

4 CHMN. KATZ: Let me just have you articulate
5 your objection.

6 MR. RICH: I did not object. He objected.

7 CHMN. KATZ: Your objection.

8 MR. ACKEN: That it's been an asked and
9 answered. And her testimony was repeatedly it's because
10 of all of the additional renewable resources that SRP is
11 adding to the system, Mr. Chairman, which she testified
12 about. He doesn't like the answer. He keeps asking it
13 in different ways, but that's still the answer.

14 CHMN. KATZ: I'm going to allow him to ask the
15 question even if we get the same answer.

16 Q. BY MR. RICH: And I appreciate that your lawyer
17 just coached you on the answer, but I want to make sure I
18 understand.

19 So you're saying that since calculated that we
20 would have a 35 percent carbon reduction by mass over the
21 summer or in May of last year, the load forecast has gone
22 up. And yet you are saying that even though the load
23 forecast has gone up, the mass of carbon reduction that
24 you're expecting is itself doubling? Shouldn't it go --
25 it should go down in that scenario, correct?

1 A. (Ms. Bond-Simpson) Incorrect. Our emissions
2 target is an intensity-based target, the 2035. That is
3 in the pounds-per-megawatt-hour metric. And so when the
4 load forecast changes, it changes the megawatt-hours our
5 system has to produce. And so at times, it is possible
6 that it changes our mass to where there is less reduction
7 by 2035.

8 Q. You said "less reduction," but you're predicting
9 double the reduction by 2035 that you were just a few
10 months ago, correct?

11 A. (Ms. Bond-Simpson) Incorrect.

12 Last year we produced a mass-based emissions
13 reduction that was consistent with that portfolio. That
14 is not shown in this testimony. That is not shown on
15 this slide. That has been recently updated by portfolio
16 changes.

17 And what we're seeing here is the changes
18 between the alternatives analysis that was performed and
19 the reduction in mass due to the load forecast increase.

20 Q. Okay. I'll leave it.

21 MR. RICH: Thank you very much. I don't have
22 any other questions for anyone.

23 CHMN. KATZ: Mr. Stafford.

24 MR. STAFFORD: Thank you, Mr. Chairman.

25 If I could get WRA-8 alongside SRP-8, please.

1 MS. MASER: I only have through 7.

2 MR. STAFFORD: Pardon?

3 MS. MASER: I only have 1 through 7.

4 MR. STAFFORD: All right. We'll just pull up
5 SRP-8, then, for now.

6 Mr. Chairman, may I approach the witness and
7 hand her a copy of SRP-8 and anybody else who needs one?

8 CHMN. KATZ: And that was the revised
9 commitment?

10 MR. STAFFORD: It's the WRA-8. That's the one
11 from SRP's presentation back -- to the advisory group
12 back in July of 2020. It's the source for the baseline,
13 the 2005 baseline.

14 CHMN. KATZ: We don't have a means of projecting
15 that, do we? If we don't, you can go ahead and --

16 MR. ACKEN: I think we can. Yeah. Let me see
17 if I can send it to Ms. Maser.

18 CHMN. KATZ: Carolyn, what time did we start?
19 Was it 2:00? 3:00?

20 THE REPORTER: We started back at -- we took a
21 short break and started back at 2:23.

22 CHMN. KATZ: Okay. We'll keep going for a
23 little bit.

24 MR. ACKEN: I don't think I have them either. I
25 know you showed them to me, but I don't know that I have

1 electronic versions of them.

2 MR. STAFFORD: Yeah, I sent them to all the
3 parties and the Committee.

4 MR. ACKEN: When did you send that? I'll find
5 it.

6 MR. STAFFORD: It was sent by Marcela
7 Lopez-Lira, not me personally.

8 MR. ACKEN: Thank you.

9 MR. STAFFORD: She sent it on the 10th.

10 MR. ACKEN: I found it and forwarded it to
11 Ms. Maser. She'll be pulling it up here shortly.

12 MR. STAFFORD: Thanks.

13 All right. There we go. Thank you.

14

15 CROSS-EXAMINATION

16 BY MR. STAFFORD:

17 Q. Ms. Bond-Simpson, I believe you testified
18 moments ago that the 2005 baseline was 18.7 million
19 metric tons?

20 A. (Ms. Bond-Simpson) Yes.

21 Q. Okay. I'm confused because looking at WRA-8,
22 the 38.1 billion pounds, when we did the math, we came up
23 with 17.281869 metric tons. I'm trying to figure out the
24 discrepancy between the 38.1 billion pounds is 18.7
25 million metric tons.

1 A. (Ms. Bond-Simpson) I can't answer that
2 specifically, but what I can tell you is that there has
3 been a baseline revision from 2005. That was
4 communicated with the 2035 sustainability goal advisory
5 group. And that I believe that revision was due to
6 calculations from a third-party independent assessment of
7 the baseline.

8 Q. Okay. So then I'm not losing my mind. So it's
9 not -- you didn't somehow convert 38.1 billion pounds
10 into 18.7 million metric tons. That number had been
11 revised since 2020; that's correct?

12 A. (Ms. Bond-Simpson) I believe the baseline has
13 been revised and that you can see in that same exhibit
14 the 62 percent intensity was also revised at that same
15 time to reflect a 65 percent intensity. I believe that
16 was the same timing.

17 Q. Okay. All right. Now, looking at SRP-8, that
18 75 percent reduction or 74 percent reduction with the
19 CEP, that's no longer accurate based on the latest load
20 projections and resource mix that SRP has planned?

21 A. (Ms. Bond-Simpson) The load forecast has
22 changed, and there is a new mass percentage that is lower
23 than the 74 percent reduction.

24 Q. And you said it was the mid 60s?

25 A. (Ms. Bond-Simpson) I believe so.

1 Q. So the total amount of mass that SRP is going to
2 reduce its emissions by will vary depending on what the
3 load forecast is, then? That's going to affect it,
4 right? So you could meet the carbon intensity goal but
5 still -- if the load forecast goes up, then the amount of
6 mass reduction will decrease, everything else held
7 constant, correct?

8 A. (Ms. Bond-Simpson) It could.

9 Q. And then so with this -- the latest mass-based
10 reduction for 2035 in the mid 60s, you said, is that
11 still maintaining the 65 percent reduction to the rate,
12 or is the rate going to change?

13 A. (Ms. Bond-Simpson) The 65 percent reduction
14 goal will not change. That is a board-established goal.

15 Q. But SRP can exceed that, can't they?

16 A. (Ms. Bond-Simpson) We would not exceed a board
17 target.

18 Q. Even if you could do it more cheaply than not
19 achieving it?

20 A. (Ms. Bond-Simpson) The board target is our
21 direction. We will meet our board target.

22 Q. But not exceed?

23 A. (Ms. Bond-Simpson) It is possible that we could
24 exceed that target. I'm sorry. It is possible that we
25 could exceed the reduction, so we could meet or exceed

1 our 2035 target in terms of reductions. But we will not
2 have a carbon -- in 2035, we will not go above the
3 board-established target.

4 Q. Meaning the intensity. You won't generate power
5 with the intensity of greater than the 65 percent
6 reduction -- or 550 megawatts per megawatt-hour, correct?

7 A. (Ms. Bond-Simpson) It might be clear if I say
8 the target is 550 pounds per megawatt-hour. By 2035, we
9 will be under that target. We will not be over 550
10 pounds per megawatt-hour. Is that more clear?

11 Q. So based on not just SRP-8, but the updated
12 calculations that are not shown here, will the 60
13 something -- is that going to exceed the rate -- the
14 reduction that is required by the board?

15 A. (Ms. Bond-Simpson) Can you repeat the question,
16 please.

17 Q. Okay. The intensity target is 65 percent,
18 right?

19 A. (Ms. Bond-Simpson) That is correct. 65 percent
20 reduction from 2005 levels.

21 Q. In the intensity.

22 A. (Ms. Bond-Simpson) Right.

23 Q. Okay. Does SRP anticipate that it will do
24 better than a 65 percent reduction to its emission rate?

25 A. (Ms. Bond-Simpson) It's possible, yes.

1 MR. STAFFORD: Thank you.

2 Nothing further, Chairman.

3 CHMN. KATZ: Ms. Post.

4 MS. POST: Yes.

5

6 CROSS-EXAMINATION

7 BY MS. POST:

8 Q. Ms. Rickard, some of the things that you have in
9 your list for the working group and which you would agree
10 to, some of these have already been rejected by the
11 community as menial and nonserious. Is that true?

12 A. (Ms. Rickard) That is what I have heard from
13 counsel, yes.

14 Q. And, Mr. McClellan, you've talked about paving
15 the roads. Were you here when Mr. Jordan showed his
16 pictures of that pothole road?

17 A. (Mr. McClellan) Yes.

18 Q. And he said that that was caused by construction
19 at the SRP plant. Would you be willing to fix those
20 kinds of problems as well?

21 A. (Mr. McClellan) Yes. As part of the paving
22 plan that we mentioned, that portion of Kleck Road would
23 be included.

24 Q. He also mentioned that the trucks were driving
25 on the railroad corridor using it as a road rather than

1 using the dirt road on the -- I believe it's on the east
2 side on Vail. So what would you do about those trucks
3 using the railroad corridor as a road and, thus, causing
4 more dust?

5 A. (Mr. McClellan) Could you clarify what you mean
6 by "those trucks."

7 Q. He said there were SRP trucks during
8 construction that were using the rail corridor as a road.

9 MR. ACKEN: Was he referring to construction on
10 the transmission lines?

11 MS. POST: Yes, on the transmission lines.

12 MR. MCCLELLAN: And -- excuse me. Could you
13 repeat your -- what was your question?

14 Q. BY MS. POST: The question is, could you prevent
15 SRP trucks during construction or the construction
16 company trucks from using the railroad corridor as a road
17 in order to reduce dust?

18 A. (Mr. McClellan) I would anticipate that during
19 construction of the Coolidge Expansion Project, we could
20 limit the amount of traffic that utilizes that road. I
21 don't think we can commit to restricting all traffic
22 along that road, as we would need to use it for
23 maintenance of the high-voltage transmission lines in
24 that area.

25 Q. Well, maintenance of the lines is different than
COASH & COASH, INC.
www.coashandcoash.com

602-258-1440
Phoenix, AZ

1 trucks just using it as a road, isn't it?

2 A. (Mr. McClellan) Yes. I would imagine that
3 maintenance would be less frequent than construction.

4 Q. On the issue of economic development, let me go
5 back to you, Ms. Rickard. Would you be willing to
6 single-source the contractor for this plant, should it be
7 approved, to a Black contractor should he meet the
8 requirements that you need?

9 A. (Ms. Rickard) I would not be able to be the one
10 to make that determination.

11 MS. POST: No further questions.

12 CHMN. KATZ: Ms. Ust?

13 MS. UST: Nothing from Staff, thanks.

14 CHMN. KATZ: Anything further, Mr. Acken?

15 MR. ACKEN: Could we take a recess right now. I
16 still think there's some fuzzy things, and I'm hopeful
17 maybe we can get them clarified after a break.

18 CHMN. KATZ: We can take about a five-minute
19 break or so.

20 One thing I do want to alert all of you to is, I
21 had Tod, with help from Michele from SRP and on his own,
22 dig up two CECs, one that was used for the original
23 TransCanada plant that is now owned by SRP, the CEC for
24 that, as well as the CEC for the Ocotillo Expansion Plant
25 of APS in Tempe in 2014.

1 I just wanted to compare that to make sure
2 because those were the only two that immediately I have
3 retrieved of power plant construction as opposed to
4 transmission line installation. I don't know that
5 they're radically different, but I just would ask
6 everybody to take a look at those and also take a look at
7 the proposed CEC that Mr. Acken had I believe sent to
8 everyone. So I'm just giving you the heads-up on that.

9 MR. STAFFORD: Mr. Chairman, if I may make a
10 suggestion. You might want to consider having Tod send
11 around a copy of Commission Decision No. 63611. That was
12 the CEC application on the expansion of the Santan plant
13 in Gilbert.

14 CHMN. KATZ: And does that order attach the CEC
15 number or the CEC to it?

16 MR. STAFFORD: I believe that the Committee's
17 decision should be attached to the Commission's decision.
18 I should say the Committee's recommendation should be
19 attached to the Commission's decision.

20 CHMN. KATZ: Do we have that available?

21 MR. ACKEN: We can certainly provide it.

22 CHMN. KATZ: Okay. That's fine.

23 And we'll take a short recess, five to ten
24 minutes, and then wrap up for the day.

25 (A recess was taken from 3:41 p.m. to 3:52 p.m.)

1 CHMN. KATZ: Are we ready to continue?

2 MR. ACKEN: Mr. Chairman, we are.

3 CHMN. KATZ: Okay.

4

5 REDIRECT EXAMINATION

6 BY MR. ACKEN:

7 Q. So I want to take another swing at this
8 discussion about various percentages. I found the
9 discussion and the questions and the entire dialog of it
10 confusing, and so I wanted to take a step back and see if
11 we could try again.

12 So, Ms. Bond-Simpson, there was a question for
13 you about a 35 percent mass-based number. Do you
14 recall -- well, there wasn't a question, there were many
15 questions regarding a 35 percent mass-based number. Do
16 you recall those questions?

17 A. (Ms. Bond-Simpson) Yes.

18 Q. Where does that 35 percent mass-based number
19 come from?

20 A. (Ms. Bond-Simpson) That was a calculation that
21 looked at what the mass number would be of the target,
22 the board-established target, of 550 pounds per
23 megawatt-hour in that current load forecast. So it was
24 directly related to what the target was in terms of mass.

25 Q. And so is it correct to say that that 35 percent

1 number did not reflect SRP's future planning
2 expectations?

3 A. (Ms. Bond-Simpson) That is correct.

4 Q. It was a math exercise?

5 A. (Ms. Bond-Simpson) Correct.

6 Q. Let's next talk about the 65 percent number and
7 the 74 percent number. And why did you show the 74
8 percent number?

9 A. (Ms. Bond-Simpson) So the 74 percent was
10 reflective of the analysis that we were presenting in
11 testimony.

12 Q. And did the 74 percent number, which, correct me
13 if I'm wrong, showed the reduction in mass-based
14 emissions reflect SRP's load growth projections at the
15 time the analysis was done?

16 A. (Ms. Bond-Simpson) Yes.

17 Q. And since the time the analysis was done, SRP's
18 load growth projections have changed?

19 A. (Ms. Bond-Simpson) Correct.

20 Q. And they have increased?

21 A. (Ms. Bond-Simpson) Correct.

22 Q. And so then the mass percentage decreases?

23 A. (Ms. Bond-Simpson) Correct.

24 Q. What is the point you were trying to accomplish
25 when you show the comparison of emissions -- carbon

1 emissions under the Coolidge Expansion Project and the
2 alternative portfolio?

3 A. (Ms. Bond-Simpson) That the difference between
4 having Coolidge in the portfolio versus a carbon-free
5 option is 1 percent difference. So it's a very subtle
6 and negligible difference in the amount of emissions.

7 Q. And that's a negligible amount whether it's 74
8 percent to 75 or 65 to 66; is that correct?

9 A. (Ms. Bond-Simpson) Correct.

10 MR. ACKEN: No further questions.

11 CHMN. KATZ: May these witnesses once again be
12 excused?

13 MR. ACKEN: They may.

14 CHMN. KATZ: Do we have any more testimony -- I
15 didn't see that.

16 MEMBER DRAGO: Mr. Chairman, may I go?

17 CHMN. KATZ: Yes, please, Mr. Drago, go ahead.

18 MEMBER DRAGO: Thank you.

19 Mr. Olsen, I enjoyed hearing your testimony.

20 A question I had, a couple of them. The Block
21 C. What is that? What does the Block C mean?

22 MR. OLSEN: Sure.

23 So when it comes to the Coolidge Generating
24 Station, we have 12 units there today. And the way that
25 we have grouped them together from operations and

1 executing perspective, we have blocked them into three
2 blocks of four units tied together. So we refer Block A,
3 Block B, Block C. It's simply -- Block C is simply a
4 reference to Units 9, 10, 11, and 12.

5 MEMBER DRAGO: Okay. Thank you.

6 And then you also mentioned -- and I can't be
7 very specific on this, but I remember you saying as part
8 of the business continuity, the plan that you were doing
9 there, you offset with coal. So is that the coal-fired
10 generating plants that SRP has running today?

11 MR. OLSEN: It is, yes. But we were able to
12 redispatch and reconfigure our particular generation mix
13 to focus on those units that we believed were less at
14 risk of gas curtailment to help to actually reduce what
15 our gas consumption requirements would be over that time
16 as well.

17 MEMBER DRAGO: I've got it. Thank you.

18 CHMN. KATZ: Any other Committee --

19 MEMBER LITTLE: Mr. Chairman, I have a question.

20 CHMN. KATZ: Yes, Ms. Little.

21 MEMBER LITTLE: My question -- I'm not exactly
22 sure who to address this to, but I'm wondering where I
23 can find a copy of the 90-day filing that SRP did for
24 this plant 90 days prior to the CEC application filing.

25 MR. ACKEN: I can answer that question.

1 The 90-day filing was in a different docket, so
2 you won't find it in this docket, just as Ten-Year Plans
3 go in the BTA docket. 90-day filings go in a separate
4 docket.

5 So what I will take as an action item is to mark
6 the 90-day filing as SRP No. 9, and we will get that
7 circulated to the parties and to the Chairman for
8 distribution to the Committee.

9 MEMBER LITTLE: Thank you.

10 MR. ACKEN: And we could show it on the screen
11 right now if you would like it see it.

12 MEMBER LITTLE: As long as I have access to it
13 before we vote on this.

14 MR. ACKEN: I'm going to ask Ms. Maser just to
15 pull it up and see if we can address any questions you
16 might have. And, again, this will be marked as SRP No.
17 9.

18 Please bear with us for a minute while the email
19 goes to her and she uploads it.

20 And I think -- if you have questions,
21 Mr. McClellan, do you have a -- well, we'll have that on
22 the screen, and Mr. McClellan can speak to any questions
23 you might have about it.

24 And when you do pull it up, start with the cover
25 page.

1 MS. MASER: Okay.

2 MR. ACKEN: And, Mr. McClellan, I'm going to see
3 if I can help facilitate this by asking you some
4 questions regarding SRP-9. And we'll see if I hit the
5 mark.

6 And, Member Little, tell me if I don't.

7 CHMN. KATZ: I think it's now up on the screen.

8 Dated September 14th, 2021.

9 MR. ACKEN: Thank you very much.

10 Q. BY MR. ACKEN: Mr. McClellan, can you identify
11 for the record what has been marked for identification as
12 SRP No. 9.

13 A. (Mr. McClellan) This is SRP's 90-day prefiling
14 for the Coolidge Expansion Project.

15 Q. And the first page is a cover letter from David
16 Felix, SRP Regulatory Policy and Strategic Engagement; is
17 that correct?

18 A. (Mr. McClellan) Yes.

19 Q. And that letter is directed to Elijah Abinah,
20 Director of the Utilities Division?

21 A. (Mr. McClellan) Yes.

22 Q. And please turn to the third paragraph, and
23 would you read that for the record.

24 A. The technical study report, internal planning
25 criteria and system ratings are deemed confidential

1 Critical Energy/Electric Infrastructure Information
2 (CEII). These confidential reports will be made
3 available upon request under a separate cover once a
4 protective agreement is executed.

5 Q. This references a technical study report,
6 internal planning criteria, and system rating. Is that
7 the power flow and stability analysis report that's
8 referenced in A.R.S. 40-360.02(C)(7)?

9 A. (Mr. McClellan) Yes.

10 Q. And do you know whether there was a request made
11 to see this information under the 90-day filing?

12 A. (Mr. McClellan) To my knowledge, there was no
13 request.

14 Q. Do you know whether this same information is
15 provided in SRP's Ten-Year Plans that are submitted to
16 the Commission in the Biennial Transmission Assessment
17 docket?

18 A. (Mr. McClellan) Yes.

19 Q. And do you know whether that information was
20 provided in this project as part of the Ten-Year Plan
21 update that was submitted for the High-Tech
22 Interconnection project?

23 A. (Mr. McClellan) Yes. The Coolidge Expansion
24 Project was included as part of that study.

25 Q. And it was also included in the most recent
COASH & COASH, INC.
www.coashandcoash.com

602-258-1440
Phoenix, AZ

1 Ten-Year Plan submitted in January of this year; is that
2 correct?

3 A. (Mr. McClellan) Yes.

4 MR. ACKEN: Thank you.

5 Member Little.

6 MEMBER LITTLE: Thank you.

7 My question is, normally, we have a -- an
8 opinion from Staff on whether the project impacts the
9 reliability of the interconnection system. And we did
10 not get such a recommendation. The letter that we got
11 from Staff withheld that particular recommendation. And
12 I'm wondering if there is -- I recognize the
13 confidentiality of this.

14 But not having seen the study and not having
15 that recommendation from the Staff, I'm wondering whether
16 there is anything that Mr. McClellan can say about the
17 results of the power supply and reliability studies.

18 MR. MCCLELLAN: Sure.

19 So as that power flow and stability analysis
20 that we mentioned that was done as part of this 90-day
21 filing, we did not identify any issues with reliability
22 as part of that study.

23 MEMBER LITTLE: And can you tell me -- I asked
24 you this question before, and you may still not know the
25 answer, but can you tell me what was included in the

1 system that was -- the Western interconnect, of course,
2 is completely interconnected. How large was the system
3 that was looked at? Was it just SRP? Was it SRP and
4 APS? Was it Arizona? What was it?

5 MR. MCCLELLAN: Well, for the power flow and
6 stability analysis that we're talking about here, the
7 modeling does include the Western interconnect. But for
8 this report, we really looked at SRP's system, and it
9 included, of course, the Coolidge Expansion Project and
10 then other potential projects that had been committed to
11 to look at the reliability concerns that would be
12 associated with the Coolidge Expansion Project.

13 MEMBER LITTLE: Okay. Thank you.

14 CHMN. KATZ: Any further questions from our
15 virtual Committee participants?

16 (No response.)

17 CHMN. KATZ: Anything that we need to do between
18 now and 9:00 tomorrow morning, or can we recess?

19 MR. RICH: Mr. Chairman, since we have a minute,
20 is it appropriate to move my exhibits at this time or
21 when are we dealing with that?

22 CHMN. KATZ: We can do it now. We're also going
23 to have an opportunity for some closing remarks.

24 MR. RICH: I'm happy to do it tomorrow. It just
25 occurred to me.

1 CHMN. KATZ: At this juncture, it's been a long
2 day, and I don't want to beat Carolyn up too badly.

3 What we'll do is either before or after you make
4 your closing remarks, offer it by specific exhibit number
5 that you would like to have in evidence and retained by
6 us and the Corporation Commission. Okay?

7 Well, everybody relax as much as you can this
8 evening, and come prepared to get things issued hopefully
9 by midday tomorrow.

10 We do stand in recess.

11 (The hearing recessed at 4:06 p.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF ARIZONA)
2 COUNTY OF MARICOPA)

3 BE IT KNOWN that the foregoing proceedings were
4 taken before me; that the foregoing pages are a full,
5 true, and accurate record of the proceedings, all done to
the best of my skill and ability; that the proceedings
were taken down by me in shorthand and thereafter reduced
to print under my direction.

6

7 I CERTIFY that I am in no way related to any of the
parties hereto nor am I in any way interested in the
outcome hereof.

8

9 I CERTIFY that I have complied with the ethical
obligations set forth in ACJA 7-206(F)(3) and
ACJA 7-206(J)(1)(g)(1) and (2). Dated at Phoenix,
10 Arizona, this 20th day of February, 2022.

11

12



13

14 CAROLYN T. SULLIVAN
15 Arizona Certified Reporter
No. 50528

16

17


18 I CERTIFY that COASH & COASH, INC., has complied
with the ethical obligations set forth in
ACJA 7-206(J)(1)(g)(1) through (6).

19

20

21

22



23

COASH & COASH, INC.
Arizona Registered Firm
No. R1036

24

COASH & COASH, INC.
www.coashandcoash.com

602-258-1440
Phoenix, AZ